

MAINE PUBLIC UTILITIES COMMISSION
AUGUSTA, MAINE

IN RE:)
) Docket No. 2022-152
CENTRAL MAINE POWER COMPANY) May 3, 2023
)

Request for Approval of a Rate Change - 307

APPEARANCES:

ERIC BRYANT, Hearing Examiner
PATRICK SCULLY, Maine Public Utilities Commission
NORA HEALY, Maine Public Utilities Commission
DAYA TAYLOR, Maine Public Utilities Commission
BRIANA LITTLEFIELD, Maine Public Utilities Commission
DEREK DAVIDSON, Maine Public Utilities Commission
ETHAN GRUMSTRUP, Maine Public Utilities Commission
FAITH HUNTINGTON, Maine Public Utilities Commission
JAMESON MCBRIDE, Maine Public Utilities Commission
JULIE PALLOZZI, Maine Public Utilities Commission
LUCRETIA SMITH, Maine Public Utilities Commission
MICHAEL JOHNSON, Maine Public Utilities Commission
MICHAEL SIMMONS, Maine Public Utilities Commission
SALLY ZEH, Maine Public Utilities Commission
ANDREW LANDRY, Office of the Public Advocate
SUSAN CHAMBERLIN, Office of the Public Advocate
BRIAN MARSHALL, Office of the Public Advocate
ERIC BORDEN, consultant, OPA
JARED DES ROSIERS, Pierce Atwood, Central Maine Power Company
SARAH TRACY, Pierce Atwood, Central Maine Power Company
CARLISLE TUGGEY, Central Maine Power Company
PETER COHEN, Central Maine Power Company
IAN BURNES, Efficiency Maine Trust
NAT HASLETT, Efficiency Maine Trust
CLAIRE SWINGLE, Governor's Energy Office
NIKHIL BALAKUMAR, Strategen Consulting, GEO
RON NELSON, Strategen Consulting, GEO
CAROLINE PALMER, Strategen Consulting, GEO
JOHN COFFMAN, AARP Maine
BARBARA ALEXANDER, AARP Maine
PHELPS TURNER, Conservation Law Foundation
EBEN PERKINS, Bernstein Shur, Competitive Energy Services
MELISSA HORNE, Walmart, Inc.

1 CONFERENCE COMMENCED (May 3, 2023, 9:00 a.m.)

2 MR. BRYANT: This is a technical conference in docket
3 number of 2022-152, Central Maine Power Company request for
4 approval of a rate change. This was noticed in an August 22nd,
5 2022 Procedural Order. Purpose of these conferences is for
6 discovery and follow-up series of data requests filed on
7 surrebuttal testimony and the Reply Bench Analysis. I'd like
8 to begin by taking appearances. Let me start with Central
9 Maine Power Company.

10 MR. DES ROSIERS: Jared des Rosiers from Pierce
11 Atwood on behalf of Central Maine Power.

12 MS. TRACY: Sarah Tracy from Pierce Atwood on behalf
13 of Central Maine Power.

14 MR. COHEN: Peter Cohen, Central Maine Power.

15 MS. TUGGEY: Carlisle Tuggey, Central Maine Power.

16 MR. BRYANT: Will there be any CMP folks remotely who
17 will be participating in the conference by asking questions?
18 Okay. We can stop there.

19 MS. GEAUMONT: We have two additional people over
20 here. Colleen Geaumont --

21 MR. BRYANT: -- speaking?

22 MS. GEAUMONT: Colleen Geaumont, Central Maine Power,
23 but Mariah and I will not be speaking.

24 MR. BRYANT: If you're not going to speak, I don't
25 think there's a need for you to identify your (indiscernible).

1 MS. GEAUMONT: Thank you.

2 MR. BRYANT: The Office of the Public Advocate,
3 please.

4 MR. LANDRY: Andrew Landry for the Office of the
5 Public Advocate.

6 MS. CHAMBERLIN: Susan Chamberlin, Office of the
7 Public Advocate.

8 MR. MARSHALL: Brian Marshall for the Office of the
9 Public Advocate.

10 MR. BRYANT: Anybody here from Competitive Energy
11 Services either in the room or remotely? No one in the room.
12 Governor's Energy Office?

13 MS. SWINGLE: Yes, this is Claire Swingle for the
14 Governor's Energy Office.

15 MR. BRYANT: Morning.

16 MS. SWINGLE: Morning.

17 MR. BRYANT: Walmart, Incorporated? You're on mute,
18 Melissa.

19 MS. HORNE: Sorry. Melissa Horne on behalf of
20 Walmart Inc.

21 MR. BRYANT: Good morning. Efficiency Maine Trust.

22 MR. BURNES: Ian Burnes with Efficiency Maine Trust.

23 MR. HASLETT: Good morning. Nat Haslett with
24 Efficiency Maine Trust.

25 MR. BRYANT: Good morning. AARP Maine?

1 MR. COFFMAN: Yes. John Coffman on behalf of AARP.

2 MR. BRYANT: Good morning, John. And my
3 understanding is that Barbara Alexander will be joining us
4 later this morning?

5 MR. COFFMAN: That is correct.

6 MR. BRYANT: The Industrial Energy Consumer Group,
7 anybody participating for them? Conservation Law Foundation?

8 MR. TURNER: Yeah, good morning. Phelps Turner,
9 Conservation Law Foundation.

10 MR. BRYANT: And I see that -- Nicholas Alexander,
11 can you identify yourself for the record, please? You have to
12 put your -- turn off your mute button. I see he's present on
13 Teams but not appearing to be responding. Are there
14 representatives of any of the other parties to this case who
15 would like to make an appearance this morning, enter their
16 appearance?

17 MS. PALMER: Hi, this is Caroline Palmer on the Teams
18 call, and I'm here as one of the consultants with the Maine
19 Governor's Energy Office.

20 MR. BRYANT: Good morning. Thank you.

21 MS. PALMER: Morning.

22 MR. BRYANT: So on behalf of the staff, my name is
23 Eric Bryant. I'm one of the Hearing Examiners. We have
24 Commissioner Scully present. It's possible that the Commission
25 Chair Bartlett will join us at some point, but I don't -- do

1 not believe he's here yet. I'd like to ask my staff colleagues
2 to identify themselves, beginning with the lawyers.

3 MS. HEALY: Nora Healy, Hearing Examiner.

4 MS. TAYLOR: Daya Taylor, Hearing Examiner.

5 MR. DAVIDSON: Derek Davidson, director of consumer
6 assistance and safety division.

7 MS. LITTLEFIELD: Briana Littlefield, staff.

8 MR. GRUMSTRUP: Ethan Grumstrup, staff.

9 MR. SIMMONS: Michael Simmons, staff

10 MR. MCBRIDE: Jameson McBride, staff.

11 UNIDENTIFIED: (Indiscernible), staff.

12 MR. JOHNSON: Michael Johnson staff.

13 MR. BRYANT: And remotely, I think we have Faith
14 Huntington. Faith, can you enter your appearance?

15 MS. HUNTINGTON: Yes, Faith Huntington, working with
16 the Commission staff.

17 MR. BRYANT: Is there anybody who needs to enter
18 appearance that hasn't done so yet? I think I've got
19 everybody.

20 MS. ZEH: Eric, just letting you know that Sally Zeh
21 from staff is on as well.

22 MR. BRYANT: Okay. Thank you, Sally. I just have a
23 quick question before we get started. Will the company have
24 any questions regarding broadband with the --

25 MR. DES ROSIERS: No.

1 MR. BRYANT: -- in the -- from the Reply Bench
2 Analysis?

3 MR. DES ROSIERS: We will not.

4 MR. BRYANT: Okay. Will the OPA have any questions
5 regarding broadband?

6 MR. LANDRY: No.

7 MR. BRYANT: Okay. I think that excuses Mr. Johnson.
8 So the last couple days there been some interesting
9 developments. The IECG indicated that it sought to ask
10 questions of parties. The Examiners granted that with some
11 conditions yesterday. The IECG's not present, but I'm going to
12 ask if anybody has any objection to the IECG's late request to
13 participate in this conference. And if I don't hear anything,
14 that's fine. You don't all have to chime in saying no. Okay,
15 hearing none. Little bit of housekeeping. With regard to the
16 upcoming hearings which are going to start in a couple of
17 weeks, I expect to have the prehearing order out later this
18 week. It'll be similar to other prehearing orders you've seen.
19 I would really like it if parties and witnesses kept those four
20 dates available and didn't have them -- do not create
21 conflicts. Scheduling can sometimes be a nightmare, and I
22 really would like to avoid that. We've been flexible so far,
23 but it may be more difficult with a full hearing to be
24 flexible. So please -- and I understand that the Governor's
25 Energy Office has identified one witness who's unavailable on

1 one day. So, let's see, I think that's -- I think that checks
2 all the boxes. So we -- according to the schedule that was
3 published and revised yesterday, we'll begin with CMP's
4 questions of staff regarding the Reply Bench Analysis and any
5 data responses beginning with the issue of rate design. So
6 I'll turn it over to Central Maine Power Company.

7 MS. TRACY: Good morning. I think these questions
8 will be directed to Mr. Grumstrup, and just a couple of quick
9 questions to further elucidate your responses to data requests.
10 I'd like to start with your response to CMP 014-015 which were
11 question -- my question around the seasonal rate proposed --
12 position of the OPA. In that response, staff indicated that it
13 did not support the OPA's recommendation with respect to a
14 seasonally-differentiated rate with respect to rate A, but that
15 with respect to rate ATOU, it indicated -- the staff indicated
16 that it had no position but expected to make a recommendation
17 in the Examiner's Report. I just wanted to further press that
18 a little bit and ask whether staff has any particular concerns
19 with respect to adopting a seasonally-differentiated rate for
20 rate ATOU that you could express at this point without
21 expressing necessarily a recommendation.

22 MR. GRUMSTRUP: I think we're open to that
23 possibility, but I don't think that we necessarily think that
24 it needs to be included or not.

25 MS. TRACY: I'd like to direct your attention to the

1 next data response CMP 014-016. This was a question around the
2 Walmart proposal with respect to the -- or change methodology
3 with respect to demand charges for the IGS and LGS classes.
4 Walmart proposed in their testimony a revised methodology and
5 the question asked whether staff supports -- or supported
6 Walmart's proposed rate design modification with respect to
7 that recommendation from Walmart. And the staff indicated that
8 it had no recommendation on the issue or on Walmart's proposal
9 at this time but expected to make a recommendation in the
10 Examiner's Report. So similar question, does the staff have
11 any particular concerns regarding Walmart's proposal that it
12 would seek to address through a later recommendation in the
13 Examiner's Report that you can share at this time?

14 MR. GRUMSTRUP: I think Walmart's proposal is one
15 possibility. Right now I don't think we would make a
16 definitive conclusion on it. But we do, as we said in the
17 Reply Bench Analysis, think that the differentials between the
18 demand charges and the different seasons for those classes does
19 seem overly high. And so we would be thinking about ways to
20 redistribute that summer on-peak demand charge to other periods
21 most likely.

22 MS. TRACY: Okay. And with respect to Walmart's sort
23 of redistribution, were there any particular concerns that you
24 had given -- for that particular proposal, recognizing that
25 there may be other ways to handle it?

1 MR. GRUMSTRUP: I don't think so.

2 MS. TRACY: All right, thank you. No further
3 questions.

4 MR. BRYANT: Okay. Proceed with Mr. des Rosiers'
5 questions on other topics.

6 MR. DES ROSIERS: And I'm going to go out of order in
7 the Reply Bench Analysis because I know Lucretia is here and I
8 just have a couple questions on tax. And certainly you may
9 stay for the whole period, but I figured I'd get rid of those
10 sooner rather than later if that's okay.

11 MR. BRYANT: Thanks. We appreciate that.

12 UNIDENTIFIED: (Indiscernible).

13 MR. DES ROSIERS: That's fine. So I'm particularly
14 focused on page 40 of the Reply Bench Analysis, lines 20
15 through 22. And in that paragraph on page 40 it discusses the
16 staff's view -- or staff's view that it wouldn't be appropriate
17 to use a historical normalization to determine the level
18 reflected in the revenue requirement. Then at the last
19 sentence then but goes on that, "If the Commission approves a
20 three-year rate plan, the company should also update the tax
21 repair allowance deduction reflected in each year based on the
22 planned capital improvements." And question is could you
23 explain what's intended or what this update would include?
24 When would it be provided? What's sort of the purpose of the
25 update?

1 MS. SMITH: In looking back at the repair tax
2 allowance that was included or the normalization, it was the
3 same amount every year, and there was discussion that the one
4 had been reflected because of the capital improvements in the
5 first year. So what I was not able to determine is whether
6 that reflected just the possible deductions or repair tax for
7 the first year and whether the -- given that there are
8 continued improvements, whether that was still reflective of
9 what the continued improvements were, capital and additions
10 would be, for the other years or whether that was just the --
11 what was that year and then carried forward for the next two
12 years which would mean that it was not the right number for
13 years two and three. So my concern would be that the right
14 number be included for years two and three if we adopt a three-
15 year rate plan specifically for those years.

16 MR. DES ROSIERS: So then it would be -- I guess just
17 thinking logistically and timing through sort of the proceeding
18 of a hearing, is this an update that you would look -- staff
19 would look for the company to provide sort of at the hearings
20 based on the company's proposed capital plan for each of the
21 three years, what -- you know, using whatever forecasting
22 method could be used to develop or used to forecast a deduction
23 for each year, provide that for the Commission to consider and
24 approve in determining the revenue requirement? Or, I guess,
25 alternatively, is it the Commission approves is there a rate

1 plan and approves the level of capital investments and then in
2 some sort of a compliance filing it's an update based on where
3 the Commission ends up on the -- those first two questions?
4 We're trying to figure out when -- what -- when we're doing the
5 update and what are we updating based on.

6 MS. SMITH: I would say yes to both because the sheer
7 fact is that if the Commission were to approve exactly what the
8 capital additions are in the rate plan and there would be no
9 change and that would be certainly acceptable to have at the
10 hearing. We would want to know the (indiscernible). But if
11 the capital improvements are in the plan that are ultimately
12 approved by the Commission differ, then I would think that that
13 would also differ that component as it would other components
14 when you run through the rate model. And I'm -- just don't
15 believe that there's, like, some other things in the rate model
16 that are tied to -- so if we make one change, it will -- it
17 would reflect back. I don't believe that is in the rate model.

18 MR. DES ROSIERS: And it's my understanding then that
19 -- is it staff's view that having a forecasted tax basis
20 repairs deduction based on the approved capital investment,
21 whatever level that is approved, would be the preferred
22 approach for setting rates without reconciliation?

23 MS. SMITH: I've gone back and forth on that given
24 everything, and I don't know that I'm a hundred -- I lean
25 towards not having reconciliation just because the repair tax

1 allowance -- just because of the timing of everything. It's a
2 very complex thing to do, but I don't know that we've reached a
3 final decision based upon everything that comes in. I think
4 that would also -- looking at the final numbers would take that
5 into account.

6 MR. DES ROSIERS: Thank you. So now we'll shift
7 gears to talk about SQIs and the SQI revenue adjustment
8 mechanism. And really starting on page 12 of the Reply Bench
9 Analysis. And then the -- on the top of page 12, the staff
10 will -- identifies a series of what it perceives as design
11 flaws in the company's SQI and SQI revenue adjustment
12 mechanism. And the first one that's identified is the number
13 of metrics and the relative weighting as providing a weak
14 incentive for reliability performance. And I'd ask -- or --
15 that concern -- or the staff explain that concern and, in
16 particular, what makes either an incentive mechanism weak or
17 strong or what would be a strong incentive in staff's view
18 (indiscernible) as opposed to a weak incentive?

19 MS. HUNTINGTON: Well, just generally, Jared, a
20 strong incentive mechanism is one, to state the obvious, that
21 provides the company with the financial incentives to achieve
22 reliability improvements or to achieve the appropriate
23 reliability targets Was that your question?

24 MR. DES ROSIERS: Okay. The -- and the particular
25 weights that staff has proposed are set forth in Figure 4 on

1 page 14 of the Reply Bench Analysis with the staff proposing
2 five reliability-related metrics and then allocating the
3 weights to those metrics with CAIDI and SAIFI being awarded
4 each 30 percent and then the other three sort of new proposed
5 metrics. So the remaining 40 percent. And could you explain
6 sort of staff's rationale for setting the metrics -- excuse me,
7 setting the weights for those five metrics and how you arrived
8 at, you know, the 30/30/20/10/10 weighting? And sort of what's
9 the rationale and thinking and logic supporting that and -- as
10 opposed to some other weighting?

11 MS. HUNTINGTON: The logic at a high level is to
12 focus on the reliability metrics, the standard reliability
13 metrics because this SQI RAM (phonetic) is being proposed in
14 the context of a rate plan in which CMP is seeking to recover
15 costs associated with investments that will -- are intended to
16 improve reliability. So coupled with the rate plan, staff
17 really is interested in a SQI mechanism that is tied to the
18 basis for -- you know, the reasons for the rate increases which
19 are, at least in large part, related to reliability
20 investments.

21 MR. DES ROSIERS: And in staff's understanding or
22 view, which of the proposed investments or proposed programs
23 are those that are intended or drive the expected improvement
24 in reliability?

25 MS. HUNTINGTON: I'll start with one and then ask

1 Michael and Derek to jump in. But, for example, there's --
2 there is a lot of testimony from CMP witnesses about the
3 distribution automation program and very specific estimates
4 which, I believe at least in part, were done with the
5 reliability calculator that indicate what is expected by way of
6 SAIFI improvements from that program by identified circuits, by
7 identified regions for the distribution automation program.
8 Michael and Derek, do you want to talk about some of the other
9 programs?

10 MR. SIMMONS: Yeah, I would just mention that, you
11 know, I think the company has provided pretty strong evidence
12 that their vegetation management changes would be intending to
13 improve SAIFI.

14 MR. DAVIDSON: I don't have anything further then.

15 MR. DES ROSIERS: Now, in the staff's recommendation
16 -- and this is discussed also on page 13 of the Reply Bench
17 Analysis. One of the other changes that staff has recommended
18 from the company's proposal is the exclusion of the -- any
19 customer service related metrics in the SQIs covered by the
20 rate plan or covered by the revenue adjustment. I understand
21 the staff's logic to be that those customer service metrics,
22 because they are proposed to be at the same levels as
23 established under Chapter 320, you know, add little to the
24 incentive or any -- little into the rationale. Is that fair or
25 is there more to the reason why the staff would exclude any

1 inclusion of customer service metrics?

2 MS. HUNTINGTON: As -- you know, again, for the
3 general reason that we really think it's important for this
4 mechanism to focus on reliability-related improvements. I
5 would also just add, and we note this in the Bench Analysis
6 that, in particular, with respect to how CMP's mechanism
7 includes the customer service metrics, you know, as you noted,
8 Jared, they -- the targets are largely reflective of minimum
9 performance levels. The way that the company's mechanism is
10 structured and operates, they serve to offset the reliability
11 metrics and water down the effectiveness of the reliability
12 metrics which, you know, just led us to eliminate from -- them
13 from the mechanism entirely. Not to not to suggest that
14 customer service performance is not important. It is
15 obviously, but we don't believe it should be dealt with in this
16 same mechanism, at least not as CMP has proposed dealing with
17 it.

18 MR. DES ROSIERS: And you sort of foreshadowed my
19 next question because I recall sitting here -- well, actually
20 not sitting here. Sitting down the road about a mile or so in
21 the last CMP rate case and spending hours upon hours discussing
22 customer service metrics and the importance of customer service
23 and the concerns that the Commission had with the company's
24 customer service performance which ultimately led to a hundred-
25 basis-point penalty with respect to customer service. To then

1 come to this case and have a customer service sort of excluded
2 is -- does that send the odd or wrong message, I guess, to
3 those that look at, you know, how the Commission would be
4 regulating and concerning and over -- providing oversight of
5 the company's performance?

6 MS. HUNTINGTON: Again, I don't -- we're not saying
7 that customer service is not important and that metrics and
8 targets for customer service are not important. We're just
9 saying not -- we would prefer that it not be done in the same
10 mechanism where we're focusing on reliability. Derek, do you
11 want to add to that?

12 MR. DAVIDSON: Yeah. So I think the -- you know,
13 part of the reason that 320 was developed, the changes that we
14 implemented, was because of the service quality problems that
15 you're referring to. And so we spent a lot of time in that
16 case coming up with what we thought were appropriate metrics to
17 measure all aspects of utility service quality and also to
18 establish benchmarks for reasonable service. And so the whole
19 reason that we did that case was the very issues you're talking
20 about. And so in this case, as Faith said earlier, there's
21 specific spending levels that are being proposed with a
22 quantifiable improvement in service for reliability. And our
23 objective here is let's try to capture that committed
24 improvement in reliability. We don't have a similar commitment
25 to improvement on the customer service. Customer service is

1 that you're going to continue with the reasonable levels. And
2 so that's basically the -- those are the same benchmarks, the
3 same expectations that were set in 320. So it's absolutely not
4 importance. We think they're both important, but because
5 there's not a commitment to improve the customer service, on
6 the customer service metrics, where there is that commitment on
7 the reliability, that's the reason we feel it's appropriate to
8 keep the two separated.

9 MR. DES ROSIERS: And the --

10 MS. HUNTINGTON: And, again, I would just underscore,
11 -- sorry. I would just underscore that, you know, our approach
12 is also in the context of how CMP proposed to include the
13 customer service metrics which was not -- in our view, in my
14 view, not helpful and, in fact, harmful to the effectiveness of
15 the reliability metrics.

16 MR. DES ROSIERS: And I guess following up on that
17 point, has the staff considered other ways of sort of a
18 drilling -- addressing the perceived shortcoming in the
19 company's proposal, you know, either through different weights
20 for different metrics or through, you know, different ways of
21 addressing penalties or financial consequences that might flow
22 from missing one metric versus another?

23 MS. HUNTINGTON: We have, but it's in the context of
24 settlement. So I can't really probably discuss it.

25 MR. DES ROSIERS: And, Faith, you mentioned that we

1 -- in your prior response talking about the company's proposed
2 -- proposal and it -- to offset good performance on one metric
3 as a way to offset, you know, performance that doesn't meet a
4 metric in another. And obviously in the Reply Bench Analysis
5 the recommendation is to do away with any kind of mechanism
6 like that. So all the metrics would stand separately, and if
7 you meet all but one but you miss one you, you'd still be
8 subject to a penalty. In the Bench Analysis, there was
9 language requesting or putting out for the company, you know,
10 the idea of proposing a mechanism that included a positive
11 financial incentive as opposed to strictly a negative financial
12 incentive. You know, obviously we got sticks if you get
13 penalties, but there can also be carrots for some kind of a
14 benefit if you achieve good performance. Did staff consider in
15 the Reply Bench Analysis any alternative to put forward a
16 positive financial incentive mechanism?

17 MS. HUNTINGTON: We have considered positive
18 incentives. They're not -- and there aren't any reflected in
19 the Reply Bench Analysis. And I think -- only speaking for
20 myself, others can comment on this as well. I would be
21 reluctant to do it in the same way the company did, but maybe
22 there could be some positive incentive structured differently.
23 And the reason I would be reluctant to do it in the way that
24 the company did it is, you know, based on what we've seen from
25 actually applying a -- the company's mechanism to actual

1 performance. It really renders -- I would be worried that
2 something like that would render the effectiveness of the
3 reliability metrics either weak or completely ineffective.

4 MR. DES ROSIERS: In the -- I've -- from your prior
5 responses -- I guess let me just explore that a little bit.
6 The -- is some of the concern the company's proposal to sort of
7 potentially offset good customer service performance against
8 reliability performance and, you know, mixing them between the
9 different categories of service?

10 MS. HUNTINGTON: Not -- that might be part of it, but
11 that's not all of it. I mean, I think each one of the metrics
12 is important and should not be diluted. And I also would be
13 concerned that you know, as everybody knows, these metrics and
14 these targets have a lot of variability in them, and, you know,
15 something like a lucky year that affected positively one of the
16 metrics could inure to, you know, just dilute the effectiveness
17 of one or the other metrics. It's -- it just -- it worries me.

18 MR. DES ROSIERS: And have you given thought to an
19 alternative of how -- what you would view in -- as an
20 appropriate positive financial incentive to deal with the
21 concerns that you've identified with staff's -- excuse me, with
22 the company's proposal something that you think strikes the
23 right balance?

24 MS. HUNTINGTON: Again, we have. We've talked about
25 it, but it's in the context of a confidential settlement

1 discussion.

2 MR. DES ROSIERS: You mentioned a moment ago the -- a
3 bit of the variability with the metrics and, you know, a lucky
4 year versus an unlucky year, and I want to explore that a
5 little bit. As I understand the staff's proposal with the five
6 metrics and the weightings and the maximum penalty, a metric
7 like SAIFI is awarded 30 percent of the maximum \$15 million
8 penalty. So in a given year, a miss of the SAIFI metric could
9 result in a penalty of \$4.5 million. It's -- would you agree
10 that \$4.5 million represents approximately 50 to 60 basis
11 points of ROE for the company based on its revenue requirement
12 in this case?

13 MS. HUNTINGTON: I'd accept that subject to check. I
14 don't know, Jared.

15 MR. DES ROSIERS: And under the staff's proposal, to
16 achieve -- or to realize or experience that \$4.5 million
17 penalty, CMP would only have to miss the SAIFI target by ten
18 percent. So the ten percent miss equals the maximum penalty.
19 Is that right?

20 MS. HUNTINGTON: Correct, correct.

21 MR. DES ROSIERS: And would you agree that SAIFI, at
22 least in part, is a metric that is beyond the company's
23 control?

24 MS. HUNTINGTON: In an absolute sense, yes, but,
25 again, the metrics are set relative to historic actuals.

1 They're -- and informed by what the company has provided by way
2 of evidence for improvements over the rate plan period. It's
3 -- clearly if there's -- you know, clearly the company can't
4 control the weather obviously. But there are -- you know,
5 there are certain things that the company has done and will do
6 that are reflected in how the targets are set.

7 MR. DAVIDSON: And maybe I could jump in on that as
8 well. I don't necessarily agree with the statement that it's
9 totally out of the control of the company. The proposal for
10 adding protection devices for sectionalizing, that's going to
11 have a significant impact on SAIFI. That's totally under the
12 company's control. The vegetation management has a lot -- has
13 a big effect on SAIFI. That's under the company's control. So
14 there -- while we do everything we can by taking a historical
15 -- using historical data to set the benchmarks, to take into
16 consideration that variability for weather, there is a lot that
17 is under the company's control.

18 MR. DES ROSIERS: And fair enough.

19 MR. DAVIDSON: And I think that's what we're trying
20 to reflect going forward is we want to see that improvement
21 that the company is saying if you allow us to spend this amount
22 of money, here's what you should see for improvement.

23 MR. DES ROSIERS: And fair enough. And if I -- I
24 don't believe I said totally outside of the company's control.
25 I believe I said in part beyond the company's control for

1 SAIFI.

2 MR. DAVIDSON: That's not what I heard but okay.

3 MR. DES ROSIERS: Well, if I said totally, it was not
4 my intention. The -- but to go to Ms. Huntington's point, you
5 know, you use an example, Faith, of the lucky year in which,
6 you know, things are great. Would you agree that there can be
7 other years in which -- we'd call it the unlucky year that, due
8 to the weather or due to abnormally high number of motor
9 vehicle accidents, the SAIFI results can be much worse through
10 you know, things that the company cannot control?

11 MS. HUNTINGTON: I agree there are certain things
12 that affect SAIFI that the company does not control.

13 MR. DES ROSIERS: And the exposure that the company
14 would have for SAIFI -- or let me back up. CAIDI deals with
15 duration, and so that is how quickly -- at a high level how
16 quickly the company can restore power after an outage. Would
17 you agree that there are, you know, more things the company can
18 do to manage CAIDI than SAIFI?

19 MS. HUNTINGTON: I'm not sure. I don't have an
20 opinion about that. Derek or Michael, do you?

21 MR. DAVIDSON: (Indiscernible) the question that the
22 company has more control over CAIDI than SAIFI?

23 MR. DES ROSIERS: Yes.

24 MR. DAVIDSON: I mean, CAIDI's a measure of how
25 quickly service is restored. So from that perspective -- I

1 don't know if I could say that it would -- that it's more.
2 There's control to a certain extent over both, and weather
3 impacts both. So I think the company has control over both for
4 a certain extent.

5 MR. SIMMONS: Yeah, I would say that it's difficult
6 to make that determination. There's a lot of projects in here
7 that are intended to avoid outages altogether. Covered
8 conductor, that sort of thing. So there's a lot that the
9 company can do to avoid SAIFI, and then they do have a lot of
10 control on how they respond to outages.

11 MS. HUNTINGTON: And, again, I would just observe,
12 you know, we agree that there are -- that there is variability
13 in these metrics, again, which is why we -- they're set the way
14 that they're set. But, you know, the point of a SQI mechanism
15 is not to structure it so that the company's never exposed to a
16 penalty. If that's the point, then what is the purpose of the
17 mechanism? We have designed it so that that it may very well
18 be the case that the company is -- incurs penalties under it.
19 That's the point, to provide that -- to have that potential
20 consequence to incentivize the reliability improvements.

21 MR. DAVIDSON: Maybe one more piece of info that I
22 think is pertinent to the variability discussion is having the
23 -- using the TMED exemption for exempting significant outage
24 days takes into account, the best that it can, the variation in
25 weather. It's using a five-year average for SAIDI, and that

1 changes over time. So it is constantly addressing variability
2 that you have in weather. So a lot of that variability should
3 be addressed in the TMED process.

4 MR. DES ROSIERS: Now, under the TMED process you're
5 establishing a five-year baseline for what is a storm or a
6 major event day. But under that process, there can be weather
7 events that are not excluded but, nonetheless, cause outages.

8 MR. DAVIDSON: Correct.

9 MR. DES ROSIERS: And the number of those non-
10 excludable events in a given year, if they are above the five-
11 year average, could have a significant impact on SAIFI in that
12 year. Obviously, the greater number of them will get picked up
13 in the average the next year. That right way to think about
14 it?

15 MR. DAVIDSON: Yeah. I think to add to that, I would
16 also argue that the events that don't reach excludable levels
17 are the types of events that the company needs to build its
18 system to withstand and to plan for.

19 MR. DES ROSIERS: Looking at now the response to CMP
20 14-02 which concerns the proposed \$15 million maximum penalty
21 for the staff's revenue adjustment mechanism, how did the staff
22 arrive at 15 million as the proposed cap?

23 MS. HUNTINGTON: It was not anything mathematical or
24 scientific. It was our judgment based on its size relative to
25 the investments and rate increases the company is seeking for

1 reliability improvements in this case.

2 MR. DES ROSIERS: Sort of can you explain then the
3 relationship between the -- that cap -- proposed cap amount and
4 the investment amounts?

5 MS. HUNTINGTON: I don't have the investment amounts
6 in front of me, but just rough order of magnitude, it was
7 intended to be an order of magnitude that was about half of the
8 rate increases, the revenue requirement increases, in each
9 year.

10 MR. DES ROSIERS: So the -- okay. So the tie is more
11 to the revenue requirement increases as opposed to the
12 investments or is there also a relationship between investments
13 and the 15 million?

14 MS. HUNTINGTON: It's not as precise as your question
15 is suggesting, Jared, but it was intended to be, you know, an
16 order of magnitude that was meaningful in the context of the
17 revenue requirement increases the company is seeking, a large
18 portion of which, as we understand it, is to support the
19 reliability improvements and investments that the company has
20 described.

21 MR. DES ROSIERS: And in staff's view, is it an
22 appropriate signal to send that if a utility proposes
23 investments to improve reliability, it should be at risk of
24 greater financial penalties during the time it's making those
25 improvements?

1 MS. HUNTINGTON: Well, it's certainly, in my view,
2 appropriate to provide incentives to a company that is seeking
3 a rate plan to cover investments to improve reliability, that
4 ratepayers -- that customers actually realize the benefits,
5 those reliability benefits. I think that's entirely
6 appropriate.

7 MR. DES ROSIERS: The -- in considering the cap, did
8 the staff look at the relationship of this cap relative to the
9 caps that were in place in CMP's prior alternative rate plans
10 for SQIs?

11 MS. HUNTINGTON: Derek, you might have looked at
12 that.

13 MR. DAVIDSON: Yes, I looked at it.

14 MR. DES ROSIERS: And what -- did you reach any
15 conclusions as to the relationship?

16 MR. DAVIDSON: The -- this is -- this one is -- the
17 one proposed here is higher. And I think the reason that it is
18 higher is, in past, it was -- the purpose of the SQI was to
19 ensure that that service didn't degrade under an alternative
20 under a performance-based ratemaking. So we wanted to make
21 sure in those cases that the company continued the levels of
22 service that it had been providing up to that point. This is
23 very different. This is a three-year forward looking and
24 asking for very significant increases in spending based on
25 commitments that the company is going to do in the future. And

1 I think that's very different than the rate plans we were under
2 before. And so that's why we thought in this situation that a
3 -- a higher percentage of a penalty compared to revenues is
4 what -- how I looked at it was appropriate. Or is appropriate.

5 MR. DES ROSIERS: And was there any benchmark gleaned
6 as to the relationship of the potential penalty to revenues of
7 the company?

8 MR. DAVIDSON: As a --

9 MR. DES ROSIERS: You just said you looked at in
10 terms of revenues. Did you sort of benchmark what the
11 relationship was to the prior SQI penalties, caps and the prior
12 ARPs relative to the company's revenue at that time versus
13 revenues under this proposed rate plan?

14 MR. DAVIDSON: Approximately double.

15 MR. DES ROSIERS: Did you consider the relationship
16 of this -- of the staff's proposal relative to the SQI penalty
17 mechanism that was imposed on -- or established for Versant in
18 its most recent merger order and that it's been operating under
19 in recent years?

20 MR. DAVIDSON: This is definitely a different
21 recommendation, but I'd say again it's for different purposes.
22 In the ENMAX merger, we were looking at making sure -- we were
23 concerned in a merger situation that service doesn't degrade
24 under that. So the primary purpose in that case was to
25 continue service levels. Now there had also been some problems

1 with SAIFI, and so we looked at some modest improvements. But
2 those improvements weren't based on specific spending levels.
3 It was based on problematic service. So this is, again, a very
4 different -- the purpose of this is different than the purpose
5 of the SQI under the ENMAX.

6 MR. DES ROSIERS: Did you calculate or consider what
7 the \$15 million penalty is -- would be relative to the
8 company's ROE that would be -- will be established in this
9 docket?

10 MR. DAVIDSON: I did not.

11 MR. DES ROSIERS: Would you have -- and, Faith, did
12 you look at that?

13 MS. HUNTINGTON: I did not. Was -- that was your
14 earlier question, right?

15 MR. DES ROSIERS: Well, I asked relative to the four
16 and a half million, but, I mean, would you accept, subject to
17 check, that a \$15 million penalty in any given year is
18 approximately equal to 180 to 190 basis points of ROE?

19 MS. HUNTINGTON: Again, I will accept that subject to
20 check.

21 MR. DES ROSIERS: And in setting the proposal, did
22 staff look at any precedent from outside of Maine and sort of
23 what is an appropriate level of financial consequence in a --
24 for an SQI mechanism relative to ROE or relative to other
25 factors that other commissions have adopted?

1 MS. HUNTINGTON: We certainly looked at rate plans in
2 other states and we -- and we've certainly, as Derek described,
3 you know, considered rate plans and SQI mechanisms that have
4 been adopted here. You know, again, this is a very specific
5 context for the plan that we've proposed which, again, is in
6 the context of a three-year rate plan with significant rate
7 increases that are being made, at least in large part, to
8 support reliability-based investments. So we felt that, in
9 this context, it was appropriate to structure something that
10 provided a very strong financial incentive for the company to
11 provide the reliability improvements it has testified it will
12 provide.

13 MR. DES ROSIERS: Looking at CMP 14-03, that asked
14 about the application -- or the application of the maximum
15 penalty for a metric being that if one percent -- a one percent
16 miss of the metric equates to ten percent of the penalty. Is
17 that the right way to understand staff's recommendation?

18 MS. HUNTINGTON: Yes.

19 MR. DES ROSIERS: The -- how did the staff arrive at
20 that suggestion or recommendation that a one percent miss
21 should equate to a ten percent penalty or, conversely, a ten
22 percent miss should correspond to the entire penalty?

23 MS. HUNTINGTON: Again, it was -- and, Derek, you
24 might have some background on similar structures, but, again,
25 it was based on our objective of structuring this in a way that

1 provided meaningful financial incentives to the company.

2 MR. DAVIDSON: Yeah, and so -- and maybe to add to
3 that. So the way the company had originally proposed its SQI
4 -- and we -- and as -- and we haven't had -- the SQIs that
5 we've recommended over the years have never had a structure, to
6 my knowledge, like this where it would take a hundred percent
7 miss to incur a full penalty. And in our opinion that's
8 unacceptable. And call answering is a good example. So if you
9 basically say I'm not going to answer any phone calls for the
10 next year and that -- it takes that drastic a step to totally
11 incur a full penalty, we think that's a problem with the
12 design. And so ten percent are pretty significant miss. And
13 so that was the intent is to have, you know, the -- you
14 shouldn't be able to totally -- have to totally miss an SQI in
15 its entirety to incur the full penalty because that's
16 absolutely unacceptable service. And the ten percent is
17 consistent with other SQIs that we've recommended.

18 MR. DES ROSIERS: Looking at CMP 014-005, and this
19 asks specifically on the -- with respect to the SAIFI targets.
20 Now in the Reply Bench Analysis on Figure 4 on page 14 is where
21 the particular recommended targets -- or where the -- staff's
22 recommendations for the targets are by year. And the -- in the
23 response to this data request -- or this data request asked for
24 sort of the basis for how you got to those numbers or what's
25 staff's recommendation. And the answer was the SAIFI targets

1 are informed by, and first was CMP's historic actual SAIFI and
2 then, second, the expected improvements from the various
3 proposed investments. And I want to understand what informed
4 by means in the context of the response.

5 MS. HUNTINGTON: When we looked at historic actuals,
6 there wasn't a straight mathematical calculation where we took
7 an average, but we wanted to make sure that we weren't starting
8 with a target that was -- that diverged significantly from
9 historic actuals. The first year targets for both SAIFI and
10 CAIDI in our proposal, I believe, are the same as the existing
11 targets for CMP, or they're certainly the same, I believe, as
12 what the company has proposed. And then for SAIFI in
13 particular, we had it structured over time to capture the
14 levels of improvement in SAIFI that appear to be associated
15 with the company's investments as described in the company's
16 testimony.

17 MR. DES ROSIERS: So it's -- if I'm understanding
18 that, and please correct me if I'm wrong, the company presented
19 forecasted improvements based on use of the reliability
20 calculator, and did staff adopt them in their entirety or in
21 whole cloth in setting these metrics?

22 MS. HUNTINGTON: Well, it's not that easy. I mean,
23 we took the testimony that the company provided that was ==
24 that provided specific improvements by circuit ID, by region of
25 the system, and then we also considered other steps the company

1 is taking over the period, such as vegetation management, that
2 should contribute to reliability improvement. And we are
3 proposing improvement in SAIFI that reflects, you know, an
4 improvement over the plan period of about 15 percent phased in
5 by year.

6 MR. DES ROSIERS: With respect to vegetation
7 management, is it right to understand that the improvements
8 that -- or the program elements that would lead to SAIFI
9 improvement are the ground-to-sky clearing and the hazard tree
10 removal?

11 MS. HUNTINGTON: Michael, do you want to comment on
12 that?

13 MR. SIMMONS: Yeah, I think those are the two primary
14 drivers, yes.

15 MR. DES ROSIERS: And in -- and you mentioned earlier
16 with respect to the capital -- or the investments, the
17 principal one that the staff was looking at is the distribution
18 automation?

19 MS. HUNTINGTON: That's the one that appeared to be
20 the most -- the improvements calculated with the most precision
21 by the company.

22 MR. DES ROSIERS: And would you agree that during the
23 term of this rate plan -- or strike that. Would you agree that
24 the company's proposal with respect to distribution automation
25 is to install those devices on a division-by-division basis?

1 MS. HUNTINGTON: That's my understanding.

2 MR. DES ROSIERS: And that during this plan, the
3 focus in 2023, 2024, and 2025 is to complete the installation
4 of devices in the Alfred division and begin installations in
5 the Portland and Brunswick divisions?

6 MS. HUNTINGTON: That's my understanding.

7 MR. DES ROSIERS: And so in those areas, and
8 certainly in Alfred, by the end of three years, the expectation
9 is of significant improvements in terms of SAIFI?

10 MS. HUNTINGTON: That's my understanding.

11 MR. DES ROSIERS: The -- in assessing -- or in
12 determining the appropriate metrics, how much weight did staff
13 give to the forecast produced by the company's reliability
14 calculator?

15 MS. HUNTINGTON: I don't -- I'm not sure I can answer
16 the question the way that you posed it. There were certainly
17 -- we certainly took them very seriously and incorporated them
18 in the improvement pattern of the SAIFI targets.

19 MR. DES ROSIERS: In setting the proposed SAIFI
20 metrics, did staff consider the -- any impacts from increasing
21 storm activity? So if the storm activity is trending upwards,
22 how that would impact SAIFI results systemwide as opposed to in
23 those portions of the system where automation is installed?

24 MS. HUNTINGTON: Other than the TMED discussion, I --
25 Derek, if you want to add anything else on that -- other than

1 that, no, we didn't do any forecast of more extreme weather
2 patterns.

3 MR. DAVIDSON: I agree.

4 MR. DES ROSIERS: Would staff agree that if the
5 company simply invested in the system just to maintain its
6 current reliability targets, it would need to increase its
7 investments due to increasing storm activity?

8 MS. HUNTINGTON: I don't have a comment on that.
9 Michael or Derek, do you?

10 MR. DAVIDSON: I don't think you can -- we can answer
11 that question because increasing storm activity,
12 (indiscernible) have to assume that it's increasing. Then what
13 types of storms? I mean, it's -- to be more specific, I --

14 MR. SIMMONS: Yeah, I would assume that the company
15 would prioritize certain projects differently if it were trying
16 to maintain based on storm activity.

17 MR. DES ROSIERS: Did the staff go look at the
18 company's historical performance over, say, the last decade
19 relative to reliability performance and storm activity in
20 Maine?

21 MS. HUNTINGTON: We certainly looked at the company's
22 historic actual SAIFI and CAIDI. We didn't map those against
23 the weather conditions in each one of those years, if that's
24 your question.

25 MR. DES ROSIERS: Looking then at CMP 14-06 which is

1 --

2 MS. HEALY: -- 14-5 if I may. Was there -- Faith,
3 did you have a correction to the -- was there a typo in the
4 response to 14-5 that you wanted to clarify?

5 MS. HUNTINGTON: Yes, the reference to the exhibits
6 in the CMP SIP REB testimony are incorrect. They should be
7 referencing Exhibits 2 through 5 -- or Figures 2 through 5.

8 MR. DES ROSIERS: Instead of two through B?

9 MS. HUNTINGTON: Correct.

10 MS. HEALY: Thank you.

11 MR. DES ROSIERS: And then with respect to 14-06,
12 this one asks the same question with respect to CAIDI. And the
13 response is similar, but it includes in the response the phrase
14 "to a lesser extent than SAIFI." Could you explain what is
15 meant by to a lesser extent?

16 MS. HUNTINGTON: Yes. You know, as we've been
17 discussing, the testimony by the company about the investments,
18 such as distribution automation, are really focused on SAIFI
19 improvements. And I know there's testimony from the company
20 that -- it is possible that CAIDI could actually degrade a
21 little bit. But what I wanted to -- what we were referring to
22 in that response is that looking at the historic actuals, the
23 CAIDI target -- the current CAIDI target and the proposed
24 target for year one as proposed by the company and reflected in
25 our mechanism appears very much higher than the company's

1 actual performance. And so it looked to us like it was
2 artificially or inappropriately too high to begin with. So we
3 tried to adjust for that as well.

4 MR. DES ROSIERS: Did staff do any -- strike that.
5 There was testimony in the case with respect to the potential
6 impacts on CAIDI that could -- are expected as more automation
7 devices are installed. Did staff do any analysis or any
8 research with respect to that consideration or that dynamic
9 whereby the reduction in the number of outages of short
10 duration can actually have an impact on CAIDI?

11 MS. HUNTINGTON: I did not.

12 MR. DAVIDSON: I did not either.

13 MR. SIMMONS: Not any specific research, no.

14 MR. DES ROSIERS: And does staff understand sort of
15 that dynamic of why automation can actually have a negative
16 impact on CAIDI?

17 MR. SIMMONS: Yeah, I think --

18 MR. DAVIDSON: Yes.

19 MR. SIMMONS: -- it makes sense.

20 MR. DES ROSIERS: It's an oddity that when you take
21 out those odd -- those outages that may have taken 20 minutes
22 before or a half an hour to fix, now it's being done in, you
23 know, seconds. It's no longer an outage. So it's not included
24 in the calculation?

25 MR. SIMMONS: Yeah, I think a -- you know, I think

1 that's correct for that first -- say, (indiscernible) the
2 circuit of 2,000 people, that first 500 customers that are on
3 an automated device, they may not have an outage. If there's a
4 sectionalizer, you might be able to put the next 500 back on,
5 you know, in 20 minutes as opposed to the whole line being out
6 for an hour. The next line, you know, is also another 20
7 minutes. So before where everybody would be out for two hours,
8 you know, with automation you might get that -- take that first
9 batch of 500 customers out of the equation, but you might also
10 be improving that second segment, the third segment so that
11 they're also considerably less than the two hours. So that's
12 -- you know, that's one type of investment that I think the
13 company is making that would improve CAIDI and may offset some
14 of the degradation that you're talking about.

15 MR. DES ROSIERS: And turning to CMP 14-07, this
16 question focused on the in-service dates of the proposed
17 investments that the company seeks to do, and the response
18 simply points back to the prior two responses that we just
19 talked about with respect to CAIDI and SAIFI. But I guess to
20 -- just to explore this in a little bit more detail, we've
21 talked about the particular programs and projects that are --
22 staff understands are intended to address reliability. Did
23 staff factor into the proposed metrics and how they change over
24 time the in-service dates for those projects and programs as
25 set forth in the company's capital plan?

1 MS. HUNTINGTON: We certainly did generally which is
2 why we have the targets improving gradually over the planned
3 period to achieve, you know, cumulative improvements of 15
4 percent. We certainly are aware that, for example, the
5 distribution automation program is being deployed by division,
6 and we certainly understand that, you know, improving
7 reliability in one division, you know, doesn't -- if you're
8 going to improve reliability by 40 percent in that division, it
9 does not translate to 40 percent systemwide. So we've taken
10 into account that the systemwide improvements will be realized
11 over time as division-by-division SAIFI gets improved from the
12 automation program. That's exactly why the targets increase
13 over the plan period.

14 MR. DES ROSIERS: Then could you look at CMP 14-09?
15 And this request then concerns the third metric staff is
16 proposing which is circuit level SAIFI improvement. And it --
17 the metric is set at 228 percent each year for circuit-level
18 improvement. And before we get into the detail, could one of
19 you explain sort of the intent behind this metric and how you
20 envision its calculation?

21 MS. HUNTINGTON: Yes, this is intended, again, to
22 track the investments at the circuit level, and the amounts are
23 derived from CMP's testimony. I don't know which -- I don't
24 have the reference in front of me, but where the company
25 identified by circuit number, by circuit ID, which circuits it

1 was targeting in each year and the expected SAIFI improvement
2 for each circuit from the program which was in the range of 38
3 to 40 percent. And so this metric is intended to capture the
4 improvement at an individual circuit level based on completing
5 the program for six circuits each year and realizing 38 percent
6 improvement in each circuit. You know, as we acknowledge, the
7 -- you know, the parameters of how that actually gets defined,
8 which circuits are included, whether there's just a basket of
9 circuits and any six can be done in a given year, you know,
10 that will need to be worked out in a little bit more detail.
11 But that's the intent, and it comes, again, from the company's
12 testimony about the program rollout at specified circuits.

13 MR. DES ROSIERS: And the -- in your response, you
14 point to the Figures 4 and 5 in the company's rebuttal capital
15 testimony. So if you have those, just going to try to make
16 sure we're talking about the same thing.

17 MS. HUNTINGTON: Yeah, I don't have them in front of
18 me, Jared. See if I can --

19 MR. DES ROSIERS: Well, that -- I mean, just to try
20 to keep the record clear, so Figure 4 in the capital rebuttal
21 is the estimated resiliency program for SAIFI improvement from
22 the resiliency program, and it lists eight circuits that have
23 an estimated improval for the average of 38 percent. And then
24 Figure 5 presents the estimated comprehensive area study SAIFI
25 improvement, and it's -- I think it's 11 different circuits

1 with an average SAIFI improvement of 39 percent. And then just
2 want to understand -- and -- but then within that 39 percent,
3 there's a range of circuit improvements from as low as 13
4 percent and as high as 75 percent depending on the circuit.
5 Now, the proposed metric reflects that each year there would be
6 six circuits that, in the aggregate, would achieve 228 percent
7 improvement?

8 MS. HUNTINGTON: Correct, six circuits times 38
9 percent per circuit.

10 MR. DES ROSIERS: And in developing those metrics,
11 did you look at the in-service dates for the various proposals
12 -- or these various improvements for these circuits?

13 MS. HUNTINGTON: We certainly did which is how we how
14 we arrived at six circuits per year.

15 MR. DES ROSIERS: Well, if we look at -- and in the
16 company's supporting evidence with respect to these -- and so
17 let me back up. As part of one of the exhibits to the
18 company's rebuttal capital testimony is where it calculated --
19 and this is exhibit CIP REB 1 -- it presents the forecasted
20 improvements for these circuits by year -- or when they would
21 go into service. Does that -- correct to your understanding?

22 MS. HUNTINGTON: I don't have it in front of me,
23 sorry.

24 MR. DES ROSIERS: Okay. And -- but then it also
25 factored in when the circuits -- excuse me, when the

1 improvements or upgrades for those circuits were intended to be
2 improved -- to be completed. They weren't all to be included
3 in 2023. Would you agree with that?

4 MS. HUNTINGTON: Correct.

5 MR. DES ROSIERS: And the range of in-service dates
6 for them is between 2023 and 2026?

7 MS. HUNTINGTON: Again, I don't have the exhibit in
8 front of me, but I'll take it -- take that as an accurate
9 description.

10 MR. DES ROSIERS: Has staff identified which circuits
11 it envisions in each year would produce this 228 percent
12 improvement?

13 MS. HUNTINGTON: We have done no independent analysis
14 of that. Again, this is relying on the company's testimony
15 with respect to the specific numbers of circuits and the
16 expected reliability improvements.

17 MR. DES ROSIERS: And did staff factor in any lag
18 between the completion of the improvement and the improvement
19 in reliability performance?

20 MS. HUNTINGTON: Not explicitly, no.

21 MR. DES ROSIERS: I ask because they're -- circuits
22 are done in 2023. They'll be done sometime this year. Until
23 they're done, they can have an impact on the reliability
24 performance this year. Is that fair?

25 MS. HUNTINGTON: Yes. Again, you know, I do think

1 there are implementation issues around this metric that would
2 need to be worked out. The -- you know, the percent
3 reliability improvements are a percent over something, and I'm
4 not sure what that something is. So, you know, I agree
5 completely that there would need to be more detail around how
6 this particular metric would be measured and implemented.

7 MR. DES ROSIERS: (Indiscernible). And that --
8 actually I -- you just flagged a question that I forgot to ask
9 which was -- and it would -- it sounds like we need to work out
10 what the baseline would be if where we're -- if we're measuring
11 228 percent, we got to have somewhere we're measuring against.
12 And that's to be determined?

13 MS. HUNTINGTON: Correct.

14 MR. DES ROSIERS: Turning to CMP 14-10. Now, this
15 metric -- excuse me, this data response concerns the staff's
16 proposed SAIDI without exclusions metric which I understand
17 would be calculated based on a rolling three-year average. Is
18 that correct?

19 MS. HUNTINGTON: Correct.

20 MR. DES ROSIERS: And the proposed metric for 2023 is
21 16, and then it goes down from there annually over the life
22 through 2026. How was the 2023 metric of 16.0 calculated?
23 What's the basis for that?

24 MS. HUNTINGTON: It was based on historic actuals. I
25 can't recall exactly what historic period was looked at. We

1 can provide that in an ODR if you'd like, but it was based on
2 historic actuals that we requested the company provide and they
3 provided in this case in a data response.

4 MR. DES ROSIERS: We would like to have that as an
5 ODR just to get the calculation of that.

6 MS. HUNTINGTON: Okay.

7 MR. DES ROSIERS: And with this metric --

8 MR. BRYANT: This is going to be ODR set seven, I
9 believe. That'll be ODR 7-1.

10 MR. DES ROSIERS: What is staff seeking to measure
11 with this SAIDI without exclusion metric?

12 MS. HUNTINGTON: Well, to state the obvious, we're
13 trying to measure the company's performance with respect to
14 restoring service after major storms.

15 MR. SIMMONS: And I think it also gets at the general
16 resiliency of the system based on the investments the company's
17 making towards resiliency.

18 MR. DES ROSIERS: The -- now the 2023 metric of 16.0,
19 we'll understand where it came from, but now for determining
20 compliance, it's now the end of 2023. It's next year. It's
21 the annual compliance filing process. The company has to file
22 a report to say whether it met this metric. What data would
23 the company be using to calculate its performance to compare to
24 the 16.0 metric?

25 MS. HUNTINGTON: It would be the historic average

1 over the three-year prior period.

2 MR. DES ROSIERS: So that would be the company's
3 results for SAIDI without exclusions for 2021, 2022, and 2023?

4 MS. HUNTINGTON: That's, I think, how we described
5 it. I'm not sure what the three-year period would be, but
6 that's what made sense to me.

7 MR. DES ROSIERS: So if we accept that that's the
8 period, we'd be -- the company would be using data of its
9 performance for a period prior to the commencement of the rate
10 plan and prior to any of the investments contemplated by the
11 rate plan to determine its compliance with that metric?

12 MS. HUNTINGTON: That's correct.

13 MR. DES ROSIERS: Does that create any concern that
14 the company is exposed to a penalty for its conduct at a prior
15 period in which it was not subject to a financial consequence
16 for its SAIDI without exclusions performance?

17 MS. HUNTINGTON: I understand the point. Perhaps.
18 But on the other side, you know, it does -- it did seem
19 important to include a rolling average -- a multi-year period
20 to avoid -- you know, to avoid an abnormally bad year, and it's
21 not clear how else to do this in a way that would have the
22 metric taking effect right away.

23 MR. DES ROSIERS: And now this proposal is a metric
24 based on SAIDI which is -- if I -- simple math, SAIFI times
25 CAIDI gets you to SAIDI. So this one picks up sort of both the

1 incentive to manage duration but also the number of --
2 frequency of outages. Is that fair?

3 MS. HUNTINGTON: Yes.

4 MR. DES ROSIERS: And with respect to the aspect of
5 SAIFI that we talked about earlier that, at least in part,
6 SAIFI is beyond the company's control, if there's abnormal
7 weather events beyond the historical norm or an abnormally high
8 number of motor vehicle accidents that's beyond the historical
9 norm, that can increase SAIDI in a given year?

10 MS. HUNTINGTON: Correct.

11 MR. DES ROSIERS: And then the -- from the duration
12 point of view now, we talked about earlier the ability of the
13 company to try to manage duration by more -- increasing its
14 storm response. And as I understand this metric, it is a
15 measure of its -- how it is responding to restore power after
16 major weather events. Does this create any concern about the
17 incentive it sends to the company as to what it should do or
18 how much it should spend with respect to storm restoration if
19 it is exposed to a penalty for the duration of outages from all
20 weather events?

21 MS. HUNTINGTON: We certainly understand that
22 dynamic, and that's probably one of the big reasons why there
23 has never to date than a metric that includes major -- that
24 does not exclude major storms. Ideally, a metric like this
25 would be coupled with some mechanism, and maybe the storm cost

1 recovery mechanism addresses this at least in part, that would
2 provide incentives with respect to the cost the company incurs
3 when restoring outages. There -- we understand that point.

4 MR. SIMMONS: I would add that the weighting of this
5 metric is the lowest of the various metrics. So that also is
6 taken into consideration in that way.

7 MR. DES ROSIERS: So the company under, the storm
8 cost recovery mechanism, has the financial consequence of
9 having to share in prudently-incurred storm restoration costs,
10 but if it spends more of those, it will share more in those.
11 But it spends more to avoid a penalty for not achieving its
12 SAIDI without exclusions target?

13 MS. HUNTINGTON: Again, it's a balance of those two
14 competing incentives with the right -- what the right balance
15 is. There's probably no idea right balance, but we think
16 they're both important.

17 MR. DES ROSIERS: Then the -- CMP 14-11. This
18 question deals with the staff's proposal for circuits with
19 FAIFI greater than 6.3. And just to start, what is staff
20 trying to capture? What is the incentive? Or what is the
21 behavior or improvement that is sought to be measured and
22 incentivized with this metric?

23 MS. HUNTINGTON: This is to try and put some
24 mechanism around an issue that has been reported on for years
25 and years and years with respect to the so-called worst

1 performing circuits. You know, the company, as you know,
2 reports on the worst-performing circuits every year, and we are
3 just seeking to include some incentive that would create a
4 mechanism to try and reduce the number of those worst-
5 performing circuits.

6 MR. SIMMONS: Yeah, and I would add that, you know, I
7 think it also serves as kind of a counterbalance to some of the
8 other programs that are being offered such that -- you know,
9 where the company's focusing on kind of the bang for the buck
10 which I think is, you know, a fine way to go about it. But
11 this metric is making sure that some of the smaller circuits
12 that might get ignored -- so I think what this is showing is
13 kind of the historic number of worst-performing circuits year
14 over year as reported by the company.

15 MR. DES ROSIERS: The metric -- the benchmark of 12
16 for 2023, how was that calculated?

17 MS. HUNTINGTON: That comes, again, from the
18 company's historic actuals. I don't recall whether it was --
19 over what period that was averaged, but -- Michael, you may
20 recall, but it comes from actual performance.

21 MR. SIMMONS: Yeah, I don't recall the period, but we
22 could --

23 MR. DES ROSIERS: Could we have an ODR to provide the
24 basis for the 12 metric for 2023 for this SQI?

25 MS. HUNTINGTON: Certainly.

1 MR. BRYANT: Why don't we add that to the existing --

2 MR. DES ROSIERS: And that's fine --

3 MR. BRYANT: -- the other ones --

4 MR. DES ROSIERS: -- (indiscernible) --

5 MR. BRYANT: -- other calculation.

6 MR. BRYANT: Totally fine. And so the idea -- and
7 there's some historical calculation that supports 12 as sort of
8 representative of the historical past. It would stay 12 in
9 2023 and then it would go down to 10 for the ensuing years '24
10 through '26?

11 MS. HUNTINGTON: Correct.

12 MR. DES ROSIERS: And the idea being that when the
13 company reports its worst-performing circuits using FAIFI, if
14 it reports more than ten individual circuits anywhere on the
15 system that has a FAIFI of greater than 6.3, it would be
16 exposed to this penalty?

17 MS. HUNTINGTON: Correct.

18 MR. DES ROSIERS: The -- and I take it this could be
19 any circuit. It's not specific to a circuit that has
20 previously been identified as a worst-performing circuit?

21 MS. HUNTINGTON: That's right.

22 MR. DES ROSIERS: And now -- because -- in the
23 company's case here there are eight circuits that are proposed
24 for the resiliency program which, in large part, were
25 identified based on historical circuit performance. Did staff

1 factor that proposal in setting this?

2 MS. HUNTINGTON: I don't know.

3 MR. DES ROSIERS: And I guess -- or just to see how
4 this test -- sort of make sure I understand the mechanism
5 right, if in 2023 the company identifies 12 circuits as worst
6 performing and it decides to implement various improvements,
7 whether they be vegetation management on those circuits,
8 whether it be the installation of tree wire, whether it be, you
9 know, sectionalizing or something else that they do, and then
10 in -- and they do that in 2023 -- or excuse me, they do that in
11 2024 because they've -- these have been identified in 2023, but
12 in 2024 there are 12 different circuits on the system other
13 than those that have a FAIFI -- SAIFI -- excuse me, FAIFI
14 greater than 6.3, the company would be exposed for the penalty?

15 MS. HUNTINGTON: Correct.

16 MR. DES ROSIERS: And what is the mechanism or
17 incentive for the company to, in advance, you know, eliminate a
18 worst-performing circuit before it's a worst-performing
19 circuit?

20 MS. HUNTINGTON: Well, I assume there is some
21 contribution to overall system SAIFI and CAIDI that would be
22 important..

23 MR. SIMMONS: I would also think that the performance
24 of those circuits would be, at least in some ways, identified
25 through the inspections that the company does through the

1 vegetation management cycle trims and the issues identified
2 there, the DLI program. Those are all programs that the
3 company does to provide preventative maintenance to their
4 infrastructure.

5 MR. DES ROSIERS: And, well, in that regard, did --
6 has the staff considered sort of the timing of the vegetation
7 management program? Currently it's five years. The inspection
8 DLI program is five years. If a circuit appears on the worst-
9 performing circuit and it is -- that year it happens to be in
10 year five, it will be trimmed the next year. Now under the
11 company's proposal here, it would be six, into the next year.
12 Is that factored into this analysis of whether they would be
13 penalized for that circuit which is now at the end of -- you
14 know, hasn't yet got to the next vegetation management cycle or
15 inspection cycle?

16 MR. SIMMONS: Insofar that --

17 MS. HUNTINGTON: Not as -- go ahead, Michael. Sorry.

18 MR. SIMMONS: I was just going to say insofar that it
19 -- that sort of relationship is calculated in the average that
20 was used to set this. I think that's the extent of the
21 analysis.

22 MS. HUNTINGTON: And I would just observe, you know,
23 as I noted earlier, the company has reported on worst-
24 performing circuits for years. So it's not as if this is a new
25 issue. So, you know, I assume the company has been taking

1 steps to address those worst-performing circuits, even though
2 it wasn't a component of a formal SQI mechanism.

3 MR. DES ROSIERS: Sure, but I -- what I guess I'm --
4 the disconnect for me is this metric doesn't strike me as one
5 to measure improvement on a worst-performing circuit. It's a
6 measure to reduce the number of circuits that have an
7 individual circuit FAIFI of greater than 6.3. So -- because if
8 we fix the worst-performing circuits that are identified, it
9 doesn't -- that's not measured here. You know, it's -- because
10 there could be another circuit next year that would be
11 triggered.

12 MS. HUNTINGTON: I understand that. The purpose of
13 this is to reduce the number of circuits that are outliers on
14 the poor service quality side.

15 MR. DAVIDSON: And I think it's important to keep in
16 mind at a high level these things are all relating to each
17 other. So the -- you know, the SQI has an increasing company-
18 wide SAIFI performance. So that creates an incentive for the
19 company to focus on large circuits with lots of customers. To
20 -- because it's a lot easier if you reduce SAIFI on a large
21 number of customers the way the math works. So that also
22 encourages to maybe look -- to lessen the focus on your smaller
23 circuits which -- I shouldn't say smaller circuits. Circuits
24 with less customers. So these are working together. It's not
25 so much to look at a specific circuit. It's to ensure that the

1 company's focus doesn't entirely move to large circuits to the
2 detriment of circuits with smaller numbers of customers.

3 MR. DES ROSIERS: Are there -- and I -- part of my
4 understanding -- or is -- my understanding of part of what's
5 driving the staff's SQI proposal is the amount of investments
6 and what they are intended to improve, reliability. Are there
7 particular proposed investments in the company's capital plan
8 that sort of the staff views as, you know, being measured by
9 this metric, circuits with a FAIFI of greater than 6.3?

10 MS. HUNTINGTON: I don't think we mapped the specific
11 circuits that are identified by the company to the so-called
12 worst-performing circuits. So I don't know the answer to your
13 question, but -- well, that's it.

14 MR. DAVIDSON: I think the key thing to remember is
15 the number. It's not the specific circuits. The number that
16 fall into -- that are over the 6.3.

17 MR. DES ROSIERS: I'm all set.

18 MR. BRYANT: I was just going to ask you because we
19 need to take a break. So we will take a 15-minute break.
20 We'll resume at 10:50 with the OPA's questions of the staff.

21 CONFERENCE RECESSED (May 3, 2023, 10:35 a.m.)

22 CONFERENCE RESUMED (May 3, 2023, 10:50 a.m.)

23 MR. BRYANT: So we'll go back on the record. I'd
24 like Ms. Alexander to make her appearance, and then I'll call
25 on people who have joined since earlier on Teams. Go ahead,

1 Barbara. Can you enter your appearance?

2 MS. ALEXANDER: Yes, but I don't know what microphone
3 I'm supposed to -- is this the correct microphone?

4 MR. BRYANT: That works.

5 MS. ALEXANDER: Yeah, okay. Barbara Alexander,
6 consultant for AARP Maine.

7 MR. BRYANT: Thank you. And for Competitive Energy
8 Services, I see that Eben is joined by Teams. Can you make
9 your appearance, please?

10 MR. PERKINS: Yeah, Eben Perkins with CES.

11 MR. BRYANT: And on behalf of the Office of the
12 Public Advocate, Eric Borden has joined. Could you make your
13 appearance, please?

14 MR. BORDEN: Good morning. Eric Borden with OPA.

15 MR. BRYANT: Thank you. And, Mr. Balakumar, for --
16 on behalf of the Governor's Energy Office, would you make your
17 appearance? You're on mute. I'm sorry, you are on mute.

18 MR. BALAKUMAR: Sorry about that. Good morning
19 everyone. This is Nikhil Balakumar consulting on behalf of the
20 Governor's Office. Happy to be here.

21 MR. BRYANT: Is there anyone else who's joined since
22 earlier this morning who needs to make their appearance now?
23 Okay, hearing none, we're going to resume the technical
24 conference with questioning by the Office of the Public
25 Advocate of the staff. So I'll turn it over to you.

1 MS. CHAMBERLIN: Thank you. It's Susan Chamberlin
2 from the Office of the Public Advocate. So we heard a
3 conversation about the SQI standards this morning. Is staff's
4 support for CMP's three-year rate plan dependent on
5 implementation of staff's SQI revenue adjustment mechanisms?

6 MS. HUNTINGTON: I think our final recommendation
7 will be provided in the Examiner's Report, but I -- speaking
8 for myself, I do believe it's very important in the context of
9 a three-year rate plan that is intended to support investments
10 and reliability-based investments, that there be a mechanism
11 that provides an incentive for the company to actually provide
12 those reliability improvements.

13 MS. CHAMBERLIN: Thank you. And staff has a proposed
14 earnings sharing mechanism and that requires all earnings over
15 the allowed ROE subject to a 50 percent flow back to ratepayers
16 which is measured by calendar year. Is staff's support for
17 CMP's three-year rate plan contingent on implementation of
18 staff's earnings sharing mechanism?

19 MS. HUNTINGTON: I would give the same answer, that
20 our recommendation will be in the Examiners -- provided in the
21 Examiner's Report. I don't know whether anyone else on staff
22 has a comment on that.

23 MR. DAVIDSON: I mean, I would probably just add to
24 that just that when -- I think we are looking this -- we
25 wouldn't look at this independent of everything else. So I

1 think the earnings sharing would be considered along with the
2 SQI. So independently, it's hard to say if we had -- if this
3 happens, then staff disagrees. I think we're looking at things
4 collectively, but it is important to staff.

5 MS. CHAMBERLIN: Were you going to add something?

6 MR. SIMMONS: No, that's fine.

7 MS. CHAMBERLIN: No, you're fine? Okay. Thank you.
8 So you would agree that CMP is obligated by statute to
9 undertake investments which result in safe, reasonable, and
10 adequate facilities and service, correct?

11 MR. DAVIDSON: Yes.

12 MS. CHAMBERLIN: And with an historic test year, the
13 utility makes investments for safe, reasonable, and adequate
14 facilities first and, secondly, seeks rate recovery when those
15 investments are in use to serve ratepayers. Do you agree?

16 MS. HUNTINGTON: Are you asking a legal question? I
17 don't know how to answer that.

18 MS. CHAMBERLIN: Well, it's using legal language, but
19 I think it's a practical question. The utility makes
20 investments and then, secondly, seeks rate recovery when those
21 investments are in use to serve ratepayers.

22 MS. HUNTINGTON: Well, that's certainly the structure
23 of a traditional historic test year type rate case. But, you
24 know, this Commission has approved rate plans for CMP and I
25 believe for Versant. So it's a different context that I think

1 we've approached this case.

2 MS. CHAMBERLIN: Yes. So CMP would be receiving
3 approval for investments which are not yet used and useful by
4 the ratepayers if the three-year rate plan is approved. Is
5 that a fair summary?

6 MS. HUNTINGTON: Again, when -- the used and useful,
7 is that a -- I don't really feel qualified to comment on the
8 legal issues. But to your basic question, yes, the purpose of
9 this three-year rate plan and the associated incentive
10 mechanisms are to approve a plan whereby CMP would be
11 authorized to recover costs associated with certain investments
12 over a multi-year period.

13 MS. CHAMBERLIN: And these -- the proposals in this
14 year are projected investments. They haven't made them yet,
15 correct?

16 MS. HUNTINGTON: Correct. I think that's true. By
17 definition when we're talking about a forward-looking great
18 plan for future investments.

19 MS. CHAMBERLIN: Yeah, correct. Okay. Now CMP is
20 not relieved of its obligation to provide safe, reasonable, and
21 adequate facilities if it doesn't receive its proposed
22 projected three-year rate plan, correct?

23 MS. HUNTINGTON: Again, I think you're asking a legal
24 question. So I'm not going to comment, but I will just observe
25 that, you know, before this case, the Commission had looked at

1 the structure of CMP and the context around the capital that is
2 available to CMP to make the kinds of investments that one
3 might ideally wish that they would make. And I think, in part,
4 that led to this case. So again, I'm approaching -- I was
5 approaching this case with a little bit of a broader
6 perspective than just the historic test year with known and
7 measurable change type rules.

8 MS. CHAMBERLIN: So regardless of the actual legal
9 language, you're saying that CMP is still required to meet
10 whatever those legal requirements are, whether it's a projected
11 rate plan or an historic one. Their obligations are the same.

12 MS. HUNTINGTON: I'm not -- I can't really comment on
13 that.

14 MS. CHAMBERLIN: Anyone else?

15 MR. SIMMONS: Well, I would just say that, you know,
16 Chapter 320 exists. So in regard to that, they're required to
17 meet the standards that are set under Chapter 320.

18 MS. CHAMBERLIN: Correct. Okay, thank you. So
19 turning to rate design, in CMP's rebuttal testimony, CMP
20 states, "Customers with monthly usage higher than 596 kilowatt
21 hours will realize a benefit under the proposed higher customer
22 charge and lower volumetric charge." Is staff generally aware
23 of that position?

24 MR. MCBRIDE: Yes.

25 MS. CHAMBERLIN: Okay. And does staff agree that the

1 corollary is also true, customers with usage of less than 596
2 kilowatt hours will experience higher bills due to an increased
3 customer charge and lower volumetric charge?

4 MR. MCBRIDE: Yes.

5 MS. CHAMBERLIN: And the rebuttal Bench Analysis
6 states -- and this is at page 49 -- "Because of the
7 unavailability of data, it's not clear whether the current
8 population of low-income customers taking service from CMP use,
9 on average, less or more than the residential monthly charge
10 of" -- "monthly level of 596 kilowatt hours."

11 MS. LITTLEFIELD: I believe we answered a data
12 request to that end, and I think we were clear that the
13 evidence is mixed.

14 MR. MCBRIDE: What was the question on that?

15 MS. CHAMBERLIN: Well, I'm just orienting you to what
16 the position is of the Reply Bench Analysis.

17 MR. MCBRIDE: Yeah, I got the cite. Yeah.

18 MS. CHAMBERLIN: Okay. So in its rate design
19 rebuttal testimony, CMP provided an Exhibit RD-3. And I have
20 paper copies if people want them, but it is just part of their
21 rebuttal testimony.

22 MS. HEALY: You guys need a minute to pull it up or
23 would you like a paper copy?

24 MR. MCBRIDE: I think we can pull it up. I have it
25 up now.

1 MS. CHAMBERLIN: Okay. Thank you. Looking at rate A
2 bill impacts rate year one.

3 MR. MCBRIDE: That's the tab?

4 MS. CHAMBERLIN: Yeah.

5 MR. MCBRIDE: Yeah.

6 MS. CHAMBERLIN: Okay. And it shows the cumulative
7 percentage of customers at each usage level. Generally see
8 that?

9 MS. LITTLEFIELD: That's column V?

10 MS. CHAMBERLIN: Column V.

11 MS. LITTLEFIELD: Yeah.

12 MS. CHAMBERLIN: Yeah. And if you look over at the
13 right and you add up the levels to 550 kilowatt hours, the
14 cumulative percentage is 59.6 percent. You see that?

15 MS. LITTLEFIELD: I'm sorry, the cumulative
16 percentage of what?

17 MS. CHAMBERLIN: The cumulative percentage of use.
18 If you look over in that column, it's 59.6 percent. So it says
19 average number of customers, percent of total, cumulative
20 percent of total.

21 MR. MCBRIDE: Total use?

22 MS. CHAMBERLIN: Well, this is how the columns are
23 labeled.

24 MS. LITTLEFIELD: So --

25 MR. MCBRIDE: I don't think it's labeled total use.

1 MS. LITTLEFIELD: Can I make a clarifying point? I
2 think what you're looking at is row 57 which shows the
3 cumulative percentage of the total number of rate A customers
4 using 550 kilowatt hours a month or less. Is that correct?

5 MS. CHAMBERLIN: Yes, that's correct. Apologize if I
6 wasn't clear, but you've got --

7 MR. MCBRIDE: Just to clear the record, it's the
8 percentage of total customers, not the percentage of total use.

9 MS. CHAMBERLIN: Okay, thanks. All right. So if you
10 look at 550 kilowatt hours, the percentage of total customers
11 is 59.6 percent.

12 MS. LITTLEFIELD: I see that, yes.

13 MS. CHAMBERLIN: Okay. And then if you look up to
14 600 kilowatt hours, it moves up to 74.5 percent.

15 MR. MCBRIDE: Yes.

16 MS. CHAMBERLIN: Okay. So according to CMP's
17 figures, at least 60 to 74.5 percent of CMP's residential
18 customers have average monthly usage of less -- approximately
19 596 kilowatt hours?

20 MS. LITTLEFIELD: I will say, yes, I agree to that in
21 the context of Exhibit RDREB-3. However, I believe that
22 exhibit has been supplemented to show the exclusion of net
23 energy billing and seasonal dwellings and I think some other
24 possible customer types within rate A. And that minimizes --
25 or, sorry, not minimizes, but it reduces the cumulative

1 percentage of the total.

2 MS. CHAMBERLIN: And could you point out where that
3 supplement is and what the reduction would be?

4 MS. LITTLEFIELD: Just give me a moment.

5 MR. MCBRIDE: It might be an ODR.

6 MS. LITTLEFIELD: I think I have it up actually.

7 There were two ODRs in the last technical conferences, ODR 6-
8 23, and -- I think there was another one. I think it was ODR
9 6-18, but I can take that back if you need me to.

10 MS. CHAMBERLIN: No, I can look for those.

11 MS. LITTLEFIELD: Okay. So basically what that did
12 was it adjusted -- I think ODR 6-23 adjusted the kilowatt hour
13 amounts to include total consumption before credits were
14 applied. And ODR 6-18 showed the customer count taking out of
15 consideration the seasonal dwellings and the NEB participants
16 because that was skewing towards the lower end of the spectrum.

17 MS. CHAMBERLIN: So I'm looking at ODR 6-18, and it
18 has the 600 number. And you go across and it still says 74.5
19 percent.

20 MR. MCBRIDE: I think that might not reflect the
21 change in seasonal. It might not exclude seasonal customers,
22 but, again, this is kind of ODR territory, so it's hard to do
23 this kind of analysis on the fly.

24 MS. LITTLEFIELD: Sure. Yeah. And if you scroll
25 down in that file, you can see there's incremental adjustments

1 at the bottom from rows 32 downward. So I'm not sure about the
2 math there.

3 MR. MCBRIDE: You can see that there is -- a
4 significant portion of the customers with usage levels of 200
5 kilowatt hours a month or less are, in fact, seasonal or net
6 energy billing customers.

7 MS. CHAMBERLIN: So if you look at the average number
8 of customers using 400 or less and you add those, I get -- and
9 I'm using the original RD-3, I get 225,695 customers using 400
10 or less.

11 MR. MCBRIDE: Is there a question?

12 MS. CHAMBERLIN: Yeah. The question is the company
13 points to its analysis that approximately 65,000 residential
14 customers who use 400 kilowatt hours or less are seasonal or
15 vacation homes. So if you do the math there, there's
16 approximately 160,000 other residential customers using less
17 than 400 kilowatt hours a month who are not seasonal customers.

18 MR. BRYANT: So, Susan, are you trying to get the
19 staff to agree with the company's exhibit and the math
20 contained in the company's exhibit?

21 MS. CHAMBERLIN: Yes, I'm just pointing out that
22 there is data on the low-income customers, and if you do the
23 math, these are the figures.

24 MR. MCBRIDE: I'm sorry, the low-income customers?

25 MS. CHAMBERLIN: The low-use customers, sorry.

1 MR. MCBRIDE: There is data on the low-usage
2 customers, yes.

3 MS. CHAMBERLIN: Right. So when you're looking at
4 the company saying that 65,000 residential customers are
5 unlikely to be low-income customers, we have a remainder of
6 160,000 other customers that may be low-income customers. We
7 simply don't know.

8 MR. MCBRIDE: I'm not sure if there's anything that
9 relates to this to income in these exhibits, unless you're
10 pointing to some other data source.

11 MS. CHAMBERLIN: I'm pointing to the company's
12 testimony. So it was the company's testimony at RDREB-6 that
13 says these customers are unlikely to be low income.

14 MR. BRYANT: So are you asking staff to back up the
15 company's testimony or -- I mean, a fair question would be has
16 the staff independently verified this information but getting
17 people to agree with another party's documents is -- doesn't
18 seem like a good use of time here.

19 MS. CHAMBERLIN: No, that's not what I was doing. I
20 was saying staff's Reply Bench testimony was that there's no
21 data. And I'm pointing out that there is data and here is the
22 data.

23 MR. MCBRIDE: So there's data on low income?

24 MS. CHAMBERLIN: There's data on low use.

25 MR. MCBRIDE: Yeah?

1 MS. CHAMBERLIN: And then the company associates low
2 use with people who are not low income. And I'm asking do you
3 agree with that? I could start with -- there. Do you agree
4 with that assertion?

5 MR. MCBRIDE: I -- it's not our testimony. I feel
6 like this is kind of making several logical jumps around their
7 testimony and our testimony. And I don't think that's our
8 testimony nor is it our analysis in those workpapers.

9 MS. CHAMBERLIN: So the Reply Bench Analysis supports
10 the increase in the customer charge, correct?

11 MR. MCBRIDE: That's correct.

12 MS. CHAMBERLIN: And the underlying assumption is
13 that this will not harm low-income customers. Is that correct?

14 MR. MCBRIDE: How would you define harm?

15 MS. CHAMBERLIN: This would not cause low-income
16 customers less ability to pay their bills.

17 MR. MCBRIDE: Yeah, I think we are not claiming that
18 the rate design changes that we're supporting in this case
19 would not harm anyone. I mean, of course, increasing rates at
20 all harms people. And so I don't think we make the case that
21 it has -- that this, you know, result that we're endorsing here
22 would have no effect on low-income customers in the sense of
23 not increasing their bills at all. I think the only result
24 that could be expected to not harm low-income customers is
25 rejecting the request for a rate increase.

1 MS. LITTLEFIELD: I'd like to jump in as well. So I
2 need to take a step back and first talk about fixed versus
3 variable charges. So it was -- in the Reply Bench Analysis we
4 stated that one of the reasons why staff has supported the
5 fixed charge increase for residential customers is because of
6 the company's own marginal cost of service study which shows
7 that the majority of these facilities costs are more fixed than
8 they are variable. And so if we're talking about harm, I think
9 we need to consider interclass subsidization, and by that I
10 mean low usage and high usage subsidizing one another. And
11 from what we've seen, given the marginal cost of service for a
12 rate A customer, it would appear that those under the current
13 fixed charge amount are being subsidized by those who are
14 higher usage. And that is because they are paying overall
15 higher than their marginal cost.

16 MS. CHAMBERLIN: Did staff do any analysis on the
17 impact on low-income customers about the proposed changes?

18 MS. LITTLEFIELD: As we've stated earlier, we don't
19 have data on specific low-income customers within CMP, and so
20 we were unable to do that sort of analysis.

21 MS. CHAMBERLIN: Are you familiar with ODR 1-013,
22 Attachment 1? This is average usage for accounts that receive
23 ELP benefits.

24 MR. MCBRIDE: I'm sorry, could you repeat the
25 reference?

1 MS. CHAMBERLIN: Yeah, it's ODR 001-013.

2 MR. MCBRIDE: It'll take a second. Going back in
3 history here. Yeah. You have it Briana?

4 MS. CHAMBERLIN: And you are also familiar with ODR
5 001-014?

6 MR. MCBRIDE: Are we familiar with it? Yes, we're
7 familiar with it.

8 MS. CHAMBERLIN: And this has annual customer usage
9 and kilowatt hour by income?

10 MR. MCBRIDE: Yes, it has a survey that the company
11 conducted. So it doesn't have, you know, the data for the
12 company's customers. It has a sample.

13 MS. CHAMBERLIN: It's a sample of the data from the
14 company's customers, correct?

15 MR. MCBRIDE: Yeah, but, again, I think we addressed
16 this in some past testimony. It's a small sample.

17 MS. CHAMBERLIN: However, it is some data on the low-
18 income use patterns of customers, correct?

19 MR. MCBRIDE: That's correct.

20 MS. LITTLEFIELD: I would just like to state that we
21 have not defined low income. This shows income levels with
22 different brackets of income. I don't think that in the Reply
23 Bench or in any other testimony that I've reviewed that we have
24 defined low income. But continue.

25 MS. CHAMBERLIN: Yeah, I think I'm going to stop

1 there. Thank you.

2 MR. BRYANT: Okay. Does the OPA have further
3 questions for staff? Is that it?

4 MS. CHAMBERLIN: No further questions.

5 MR. BRYANT: Okay, thank you. Next on the schedule
6 would be the AARP's questioning of the staff.

7 MS. ALEXANDER: Thank you very much. I'd like to ask
8 some questions of the staff on aspects of the rate design
9 issues in this proceeding. The Bench Analysis -- the Reply
10 Bench Analysis on page 47 starts a discussion of beneficial
11 electrification and links those words with the staff's
12 recommendations in this proceeding. Would someone on the staff
13 define the term beneficial electrification, please?

14 MR. MCBRIDE: Sure, yeah. I mean, in my
15 understanding, beneficial electrification is switching to
16 electricity as the energy source for an end use that was
17 previously, you know, sourced by direct combustion of fossil
18 fuels.

19 MS. ALEXANDER: Would you also agree that that term
20 means increasing the amount of reliable renewable energy on the
21 grid?

22 MR. MCBRIDE: No.

23 MS. HEALY: I'd just like to say that I don't think
24 the witness is providing an illegal definition, but go ahead.

25 MS. ALEXANDER: Are you aware that there is a

1 definition of beneficial electrification in Maine law?

2 MR. MCBRIDE: I would reference Nora's answer on
3 that.

4 MS. ALEXANDER: Did you check the definition of
5 beneficial electrification in the Maine law?

6 MR. MCBRIDE: No, but if you'd like to provide it for
7 the purposes of this hearing, that would be great.

8 MS. ALEXANDER: It's a definition in the Efficiency
9 Maine Trust statute. I can give you the reference, but I don't
10 have it off the top of my head. Is there some provision of the
11 public utility ratemaking law that you looked at to discuss
12 your implementation of beneficial electrification in this
13 proceeding?

14 MR. MCBRIDE: That's an interesting question because
15 I think in this Reply Bench Analysis, it's not actually a
16 portion that I drafted, but I think there is a reference to the
17 portion of the Title 35-A statute that references the
18 Commission's statutory obligation to facilitate reductions in
19 carbon emissions. So that was part of our reasoning in the
20 Reply Bench Analysis.

21 MS. ALEXANDER: Okay, thank you. You say here -- or
22 someone on the staff says here on page 47, "Staff believes that
23 shifting rate design from volumetric charges to fixed charges
24 could" -- "would improve the attractiveness and affordability
25 of beneficial electrification." Is it fair to assume that

1 you're talking here about the customer's decisions to invest in
2 heat pumps and electric vehicles?

3 MS. LITTLEFIELD: That's certainly part of it, yes.

4 MS. ALEXANDER: What would be the other part?

5 MS. LITTLEFIELD: I believe that beneficial
6 electrification, in general, we like to approach it from a
7 technology neutral standpoint. So there could potentially be
8 other beneficial electrification technologies in the future
9 that we don't know about.

10 MS. ALEXANDER: But you aren't projecting that your
11 views about the fixed customer charge in this case has any
12 relationship to some unknown future technology, are you?

13 MS. LITTLEFIELD: I'm not sure I understand the
14 question. Could you restate that?

15 MS. ALEXANDER: I believe you indicated that your
16 definition of beneficial electrification might refer to future
17 unknown technologies. I'm asking if your proposal in this rate
18 case has to do with some future unknown technology.

19 MS. LITTLEFIELD: I think that our position on
20 beneficial electrification being important as a consideration
21 in rate design is technology neutral. So we are looking at it
22 from the standpoint that any source of beneficial
23 electrification is going to increase customer usage. And just
24 because we haven't specified what technologies that's aiming to
25 make more attractive, I think that it's implicit in our Reply

1 Bench.

2 MR. MCBRIDE: And I would just add to that that, you
3 know, I think you specified two technologies, heat pumps and
4 electric vehicles, but there are potential other technologies.
5 I mean, one that has got some recent, you know, press is the
6 issue of gas stoves. Obviously Maine has relatively few gas
7 stoves relative to the rest of the Northeast. But, you know,
8 there are other technologies in which fossil fuels are
9 combusted directly. There's a lot. You know, there's pool
10 heaters, things like that, right? Grills. There's all kinds
11 of different stuff, all kinds of different silly reasons why
12 people burn fossil fuels. And I think the goal of beneficial
13 electrification is to replace the direct combustion of fossil
14 fuels with electricity, regardless of what appliance or
15 technology is combusting the fossil fuel directly.

16 MS. ALEXANDER: Are you aware of any evidence that
17 your proposed endorsement of higher fixed customer charge will
18 have any particular influence on a customer's decision to
19 purchase any of those alternative non-fossil fuel technologies?

20 MR. MCBRIDE: Yeah, so we addressed this I believe in
21 the first technical conference on our initial Bench Analysis.
22 And although we didn't conduct any analysis on the customer's
23 decision to electrify in this case, I believe in that technical
24 conference I referenced one resource that I'm aware of which is
25 the Efficiency Maine Trust heating cost comparison calculator

1 which essentially shows, you know, how much it costs to heat a
2 home under various different heating technologies. And the --
3 you know, obviously the most important input for determining
4 the cost of heating a home with an electric technology such as
5 an air source heat pump is the volumetric electric rate. So as
6 you increase the volumetric electric rate in that calculator,
7 heat pumps look less attractive. And that, I think we believe,
8 is a decent representation of how customers make these
9 decisions.

10 MS. ALEXANDER: And do you agree customers pay total
11 bills?

12 MR. MCBRIDE: Yes.

13 MS. ALEXANDER: Do you agree that the vast percentage
14 of the bill for current CMP customers is not the distribution
15 or the fixed charge but the standard offer?

16 MR. MCBRIDE: I think we would need to define vast,
17 but that is a -- that's a large portion of it as well as the
18 delivery is also a large portion of the bill.

19 MS. ALEXANDER: Do you have any evidence about
20 people's decisions to make investments based on other than the
21 total bill as opposed to a calculation that provides
22 information to customers about the impact of volumetric charges
23 on their purchasing decisions?

24 MR. MCBRIDE: I think the question is a little bit
25 unclear. I think there are many different factors that

1 influence a customer's decision to electrify. The total bill
2 is one of them. Rate design, I could imagine, is another one
3 of them, but of course, they all kind of flow through the total
4 bill as well as the -- I can also imagine the prices of the
5 fossil fuels and the efficiency and prices of the fossil fuel
6 appliances also have a factor. I actually -- I will admit that
7 I wrote my graduate thesis on customer's decisions to
8 electrify. So I'm very happy to talk about it, whether it's in
9 this case or otherwise.

10 MS. ALEXANDER: But you did recognize that the
11 customer's total bill is primarily the factor that people will
12 use in these decisions, didn't you?

13 MR. MCBRIDE: I wouldn't -- again, I think it's hard
14 -- without defining primary, you know, decision, I think it's
15 hard to assign, you know, weights to these different factors.
16 I think the total bill, the electric bill, obviously is
17 something that people will look at. And the thing that
18 affects, you know, how much electrification costs is primarily
19 the volumetric charge from the -- the total volumetric charge.
20 So totally inclusive of supply and delivery.

21 MS. ALEXANDER: And are -- have you looked at the
22 customer comments filed in this rate case?

23 MR. MCBRIDE: Yes.

24 MS. ALEXANDER: Are you familiar with this one? "CMP
25 rates are becoming a unaffordable to me. I live in a modestly-

1 sized apartment with a heat pump. I've had to keep my
2 apartment colder this past winter because of the outrageous
3 prices. I was lucky it was a comparably mild winter. Even so,
4 there were multiple days this past winter when my apartment was
5 56 degrees and I couldn't afford to make it warmer. Other days
6 it was 58. I was thankful on warmer days when it was above 62
7 inside. This isn't just a few dollars here and there. Rates
8 have gone up astronomically. Mainers are suffering. Our
9 health and livelihood is on the line because of these prices,
10 some of the highest in the country." You familiar with that?

11 MR. MCBRIDE: Yes.

12 MS. ALEXANDER: And is it your opinion that an
13 increase in the fixed customer charge for a low-use customer in
14 this situation is going to have some impact on purchasing a
15 heat pump or any other?

16 MR. MCBRIDE: Without getting into it too much, I
17 think in that case that customer heated with a heat pump. And
18 so the decision of how much heating to use is reflective of the
19 volumetric charge. So actually for that customer, a decrease
20 or even a relative decrease in the volumetric charge would make
21 heating relatively cheaper.

22 MS. ALEXANDER: So let's talk about the volumetric
23 charge which the staff is proposing to allow CMP to market a
24 very expansive and more expensive time-of-use rate. Is that
25 correct?

1 MR. MCBRIDE: Can you repeat the question?

2 MS. ALEXANDER: Yes, talking about the volumetric
3 charge, the staff is in favor of the company's proposal to
4 adopt a more expanded -- a different structure and more
5 expensive ratepayer money to market a time-of-use rate. Is
6 that correct?

7 MS. LITTLEFIELD: That was not in our Reply Bench.

8 MR. MCBRIDE: Yeah, and I'm not really sure what the
9 connection between that and the volumetric charge is. I kind
10 of assumed when we were talking about the volumetric charge, we
11 were talking about the volumetric charge for rate A.

12 MS. ALEXANDER: Well, I'm not assuming that.

13 MR. MCBRIDE: So what --

14 MS. ALEXANDER: We have a time-of-use proposal in
15 effect for this rate case, correct?

16 MS. LITTLEFIELD: I believe that time-of-use proposal
17 is for an existing time-of-use class. So I don't know what
18 you're referring to when you are kind of cross referencing that
19 with the volumetric charges.

20 MS. ALEXANDER: Well, if it's not a fixed charge,
21 it's volumetric charge, correct?

22 MS. LITTLEFIELD: I think that the company has
23 proposed, at least for rate A, that there are both fixed and
24 variable components of their rates for distribution. So I'm
25 not sure what you're asking.

1 MS. ALEXANDER: I am asking about the company's
2 proposal to market a new distribution-only time-of-use rate.

3 MR. MCBRIDE: I have several points to make about
4 this. One is that if we're not just talking about rate A, then
5 it's not just fixed in volumetric, right? If you look at all
6 the company's rate schedules, there's also charges for demand
7 as well as reactive power-related charges for all --

8 MS. ALEXANDER: My questions are related to the
9 residential customers of CMP, and we have a time-of-use rate in
10 effect right now. Do you agree with that?

11 MR. MCBRIDE: I certainly agree with that, yes, yeah.

12 MS. ALEXANDER: Okay. And there's a proposal in this
13 case to change that and market it with brand new millions of
14 dollars in upgraded technologies and marketing costs --

15 MS. TRACY: Object --

16 MS. ALEXANDER: -- for the time-of-use rate. Do you
17 agree with that? Are you familiar with that proposal that --

18 MR. BRYANT: Hold on, Barbara, there's been an
19 objection.

20 MS. TRACY: Ms. Alexander is characterizing CMP's
21 proposal, and we don't -- we need -- we either need a reference
22 to where she's referring to, but we do not agree with
23 characterization.

24 MR. BRYANT: Can you provide a reference for the
25 millions of dollars of education or information that you just

1 referenced? Because --

2 MS. ALEXANDER: Yes, I can, but obviously I can't do
3 it on the fly. Their proposal included --

4 MR. BRYANT: Well, maybe you can rephrase your
5 question so that it doesn't include that because I think that's
6 confusing the witnesses and confusing the record.

7 MS. ALEXANDER: Well, there's money in this rate case
8 to redesign and market a new time-of-use rate. Do you agree
9 with that?

10 MR. MCBRIDE: I don't think so because I think it's
11 the same TOU rate A.

12 MS. LITTLEFIELD: So I believe that the company's
13 testimony stated that they have a budget for certain customer
14 education and marketing expenses. But -- and I believe that
15 was answered in a data request. It was relatively small. I'm
16 remembering about \$136,000.

17 MR. MCBRIDE: And just to further expand on that
18 answer, you know, we certainly do recognize that there is a
19 proposal to change the TOU periods, and that is addressed in
20 the Reply Bench Analysis.

21 MS. ALEXANDER: Okay, let's go to page 50 of the
22 Reply Bench Analysis. Comparison of monthly bill impacts with
23 and without increased fixed charges. Okay? This is for rate
24 A. Is that fair to say, not a time-of-use rate analysis?

25 MS. LITTLEFIELD: That's correct.

1 MS. ALEXANDER: So has the staff done an analysis of
2 the impact of any of the fixed charge proposals in light of a
3 customer taking a time-of-use rate?

4 MS. LITTLEFIELD: No.

5 MS. ALEXANDER: Okay. And this chart is distribution
6 bill impacts only. Is that fair to say?

7 MS. LITTLEFIELD: That's correct.

8 MS. ALEXANDER: It does not include the standard
9 offer?

10 MS. LITTLEFIELD: That's correct.

11 MS. ALEXANDER: It is not the total bill impact?

12 MS. LITTLEFIELD: It is the incremental bill impact
13 of the distribution rate.

14 MS. ALEXANDER: Okay. But we've agreed that
15 customers pay a total bill, correct?

16 MS. LITTLEFIELD: I would agree that customers are
17 billed on a total delivery and supply basis, yes.

18 MS. ALEXANDER: Right, right. Turning to page 44 of
19 the Reply Bench Analysis, the staff has a position on the time
20 periods involved for TOU. Is that correct?

21 MR. GRUMSTRUP: Yes.

22 MS. ALEXANDER: And your recommendation is that on-
23 peak rates would be higher than off-peak rates, correct? I
24 mean, that's the definition of time of use.

25 MR. GRUMSTRUP: Yes.

1 MS. ALEXANDER: And your proposal is that during the
2 winter from December through February, your -- or CMP's
3 proposal is that the on-peak rate be from 4 to 9 p.m.?

4 MR. GRUMSTRUP: Correct.

5 MS. ALEXANDER: And your recommendation reflects a 4
6 p.m. to 9 p.m. rate for various alternatives here, correct?

7 MR. GRUMSTRUP: Correct.

8 MS. ALEXANDER: So if a customer has installed a heat
9 pump and joined the 100,000 customers who've chosen to do that
10 recently, they would see very high prices during the winter
11 from 4 to 9 p.m., correct?

12 MR. GRUMSTRUP: That's possible, depending on how
13 they manage their load.

14 MS. ALEXANDER: Are you aware of a customer's
15 inability to operate an electrified heating system from 4 to 9
16 p.m. in the winter?

17 MR. GRUMSTRUP: Sorry, can you rephrase that
18 question?

19 MS. ALEXANDER: Sure. Are you aware of any process
20 or policy or technology that would allow the company (sic) to
21 avoid using their electrified heat pump from 4 to 9 p.m. during
22 the winter?

23 MR. MCBRIDE: Yes.

24 MS. ALEXANDER: And would you explain that, please?

25 MR. BRYANT: Hold on. In the question you said

1 company, I think you meant --

2 MR. MCBRIDE: Yeah, I think you meant customer. I
3 just kind of went over that.

4 MR. BRYANT: Yeah, go ahead.

5 MR. MCBRIDE: But I believe the question referred to
6 customers being able to reduce their usage from heat pumps
7 during the 4 to 9 p.m. period. Is that the question?

8 MS. ALEXANDER: Yes.

9 MR. MCBRIDE: Yeah. So the answer would be that a
10 thermostat would be the way.

11 MR. GRUMSTRUP: So the -- one strategy customers can
12 use to do that is to preheat, and that is generally --
13 basically they increase the temperature prior to the on-peak
14 period coming into effect and then reduce it afterward during
15 the on-peak period when they run off residual heat.

16 MS. ALEXANDER: And -- but you would agree, I hope,
17 that it would not be your recommendation that people reduce
18 their heat pump level to the 58-degree mark that this woman
19 described in her comment, correct?

20 MR. MCBRIDE: We certainly don't take a position on
21 (sic) the Reply Bench Analysis on what temperature people
22 should set their thermostats to.

23 MS. ALEXANDER: Ah.

24 MS. LITTLEFIELD: I don't believe in the Reply Bench
25 Analysis we actually included in the discussion of TOU rates

1 the impact on any beneficial electrification. I think that
2 those two things have been conflated. So I just want to state
3 that for the record.

4 MS. ALEXANDER: That's interesting. You have certain
5 rate design options that you've linked to beneficial
6 electrification, but other rate design options are not related?

7 MS. LITTLEFIELD: I think what staff wrote in the
8 Bench Analysis -- the Reply Bench is about the TOU periods, not
9 about the actual rates charged in those periods. So to the
10 extent that you're asking about whether there's any impact on
11 heat pump users and their behavior, we didn't discuss in the
12 Reply Bench what the price differentials are or the bill
13 impacts to those customers. So we don't have that analysis.

14 MS. ALEXANDER: You haven't done it?

15 MS. LITTLEFIELD: We do not have it. We have done
16 it.

17 MS. TRACY: Attorney Bryant, I'd also like to
18 register a belated objection as to foundation. Ms. Alexander
19 hasn't established that the customer that she's questioning
20 about in the comment is actually a TOU customer.

21 MR. BRYANT: I think that's pretty obvious. We don't
22 know what rate class the customer was in of the one you read,
23 Ms. Alexander.

24 MS. ALEXANDER: I do not know and it didn't matter
25 for the question that I asked.

1 MR. BRYANT: That's fair. Thank you.

2 MS. ALEXANDER: Couple more questions. Is the staff
3 familiar with the electric Rate Reform Act entitled 35-A?

4 MS. HEALY: Could you point us to the -- what section
5 are you talking about?

6 MS. ALEXANDER: Section 3151. "This subchapter shall
7 be known and may be cited as the Electric Rate Reform Act."
8 And then I'll bring your attention to 3152 in which a policy
9 and findings are set out.

10 MS. HEALY: Do you have copies of that that you can
11 share with the witnesses?

12 MS. ALEXANDER: No, I don't. Then they could look
13 that up at later time. I'm bringing to their attention and
14 asking if they're familiar with it.

15 MR. GRUMSTRUP: No, not at the top of our heads.

16 MR. MCBRIDE: I think we're familiar with it in the
17 sense that we're familiar with all of 35-A which is that we
18 deal with it on a daily basis, but we probably couldn't quote
19 it from memory.

20 MS. ALEXANDER: Fair enough. Of course. I would
21 just point the staff's attention and ask if you took into
22 account the following policy. "Require the Commission to
23 consider the ability of low-income residential customers to pay
24 in full for electric services as transmission and distribution
25 rates are redesigned consistent with these policies."

1 MR. GRUMSTRUP: We do consider that.

2 MS. ALEXANDER: But you don't know how many low-
3 income customers there are in the CMP service territory,
4 correct?

5 MR. MCBRIDE: That's an interesting question because
6 I think we have some sources of data on how many low-income
7 customers there are because we have data on the low-income
8 programs. But I think the difficulty that we've had in this
9 case in particular is relating the low-income customers' and,
10 in particular, all customers' incomes to usage levels which is
11 slightly different from thinking about how many low-income
12 customers there are. You know, just to expand on that a little
13 bit more and maybe too much, but, you know, you could look at
14 the census data for CMP service territory and get a sense of
15 how many low-income customers there are in CMP's service
16 territory, but that wouldn't help you answer the question of
17 how those individual customers' electric usage relates to their
18 income level.

19 MS. ALEXANDER: You can say that. I do not, but
20 that's the --

21 MR. MCBRIDE: Well, I'm not testifying for you. So
22 that's good.

23 MS. ALEXANDER: That's correct. You are not and --

24 MS. HEALY: And you're not testifying today.

25 MS. ALEXANDER: Right. So my question is how does

1 the staff take into account its obligation with respect to
2 considering low-income residential customers in its rate design
3 decisions?

4 MR. MCBRIDE: I think there's many different ways we
5 take into account low-income residential customers. I think
6 the testimony that we've submitted in this case reflects a lot
7 of discussion about our, you know, attempts to characterize
8 low-income customers and difficulties that I already mentioned
9 in relating low-income, and income levels in general, to usage.
10 As well as, obviously, all of our testimony in this case and in
11 many other cases about the low-income assistance programs that
12 the Commission helps administer.

13 MS. ALEXANDER: So following up on this issue, I'll
14 point you to your response -- or the staff's response to OPA-
15 021-004. And the question --

16 MR. MCBRIDE: Yeah, it's going to take a second, hold
17 on.

18 MS. ALEXANDER: That's no problem.

19 MR. MCBRIDE: And just if you could repeat the
20 reference, that would be --

21 MS. ALEXANDER: That's correct. OPA 021-004, 24
22 April '23. And the answer to the question from the OPA about
23 taking into account the comprehensive data -- I'm reading the
24 question now. You don't have to agree with that.

25 MS. HEALY: Maybe I've lost the reference. Did you

1 say OPA 21-24 or --

2 MS. ALEXANDER: No, OPA 021-004.

3 MS. HEALY: thank you.

4 MS. ALEXANDER: If I misspoke, I apologize.

5 MS. LITTLEFIELD: I think she said 4/24 as in the
6 date.

7 MS. HEALY: Thank you.

8 MS. ALEXANDER: Okay. So just looking to the answer
9 that was provided, staff -- I'm reading now -- "Staff
10 considered all evidence presented on this topic to reach its
11 recommendation. Furthermore, staff believes the appropriate
12 focus should be on those low-income ratepayers who have high
13 usage and, therefore, have the highest electricity bills
14 relative to their income." What data do you have about how
15 many low-income ratepayers have high usage?

16 MS. LITTLEFIELD: I think that it's evident that
17 those with high usage and, therefore, the highest electricity
18 bills are going to be more likely to seek assistance, and we
19 have data that's been provided about arrearage management and
20 the LIAP programs. And those we would categorize as probably
21 being a the least likely to pay their bills, and usually that's
22 correlated with the highest bills.

23 MR. MCBRIDE: And just to expand a little bit more, I
24 think what we're really trying to get at here is the notion of
25 energy burden which, as I'm sure everyone is aware, is the

1 share of someone's income -- the share of someone's income
2 that's taken up by their energy expenses. So for these
3 customers who are low-income and high usage, they're likely to
4 be among the highest energy burdened.

5 MS. ALEXANDER: I'm asking how many of them there
6 are.

7 MR. MCBRIDE: That's a good question. I don't think
8 we have great data on that. I think as Briana mentioned -- as
9 Briana answered, you know, we can approximate those. We can
10 get some sense of that from some of the assistance programs,
11 but because we don't have great data, as I've mentioned several
12 times, correlating income and usage, we don't really have an
13 absolute sense of, you know, the number of customers in that
14 group.

15 MS. ALEXANDER: Thank you. One more question. I
16 asked you if you were familiar with one Maine statute. I'm
17 going to bring another one to your attention and ask if the
18 staff took this into account in the development of its
19 proposals. It's older citizens transmission and distribution
20 service policy. It's Section 3171 of the Maine law or the
21 Maine 35-A law. And the policy here is that "It is the purpose
22 of lifeline transmission and distribution service to alleviate
23 the upward spiral in the cost of transmission and distribution
24 service to older citizens and at the same time to encourage as
25 well" -- "as reward, the conservation of scarce energy supplies

1 by adopting the approach of constant per-unit cost for the use
2 of electricity." Do you see that or are you aware of this
3 provision of law?

4 MS. LITTLEFIELD: I see that, yes.

5 MS. ALEXANDER: Did you take that into account in
6 your recommendations?

7 MR. GRUMSTRUP: Yes.

8 MS. ALEXANDER: How?

9 MR. GRUMSTRUP: It, along with any other
10 considerations for low-income customers, elderly customers, go
11 into our judgment on all aspects of the rate case.

12 MR. MCBRIDE: And I would just add to that that, you
13 know, I think the section you just quoted mentions, you know,
14 that we should adopt the approach of constant per-unit cost for
15 the use electricity, and that's reflected, at the very least,
16 in CMP's rate A. in rate A there's a constant per-unit cost of
17 the use of electricity.

18 MS. ALEXANDER: But you would agree fixed charges is
19 not a representation of that policy, correct?

20 MR. MCBRIDE: No, but the other half of the bill -- I
21 mean, the other part of the bill is, right? The constant per-
22 unit cost is the kilowatt hour cost.

23 MS. ALEXANDER: Right, but you want to -- you have to
24 agree, I hope, that you're shifting some of the recovery of
25 cost to fixed charges, correct.

1 MR. MCBRIDE: Yeah, but that doesn't make the per-
2 unit cost of electricity not constant, right?

3 MS. LITTLEFIELD: I'm not sure that that policy --
4 I'm not a lawyer so I can't speak to what the statute is
5 intended to mean, but what I am reading and what you have
6 quoted to us is about the kilowatt hour charge, and I don't
7 think that there's a discussion of fixed or minimum charges in
8 this policy. And if there is a, could you provide where that
9 is?

10 MS. ALEXANDER: No, there's not a discussion that I
11 can see here about fixed charges. That's the point of the
12 policy. I will leave that for argument..

13 MR. MCBRIDE: What do you mean by the point of the
14 policy? I -- just to clarify the record on that.

15 MR. BRYANT: Well, hold on, no --

16 MS. ALEXANDER: You're asking me to interpret --

17 MR. BRYANT: -- Barbara's asking the questions --

18 MR. MCBRIDE: Okay, okay. Okay, sorry. Yeah, well,
19 okay, fair enough.

20 MS. ALEXANDER: I was asking if you took it into
21 account. You've answered my question to the best of your
22 ability, and I appreciate that. Thank you. That concludes my
23 questions.

24 MR. BRYANT: Okay. Thank you, Barbara. Next, the
25 Governor's Energy Office has set aside 30 minutes to ask

1 questions of the staff.

2 MS. PALMER: Hi, everyone. This is Caroline Palmer
3 on behalf of the GEO. Can you all hear me okay?

4 MR. BRYANT: Good morning. Yes, we can. Thank you.

5 MS. PALMER: Great. I'll be asking staff about rate
6 design today. And so I like to refer to staff's Reply Bench
7 Analysis at page 46, line 24 which states that the majority of
8 CMP's distribution costs are not caused by variations in
9 volumetric usage. And --

10 MR. MCBRIDE: Yes.

11 MS. PALMER: Thanks. I'd like to ask is it your
12 position that local facilities costs do vary with changes in
13 customer kilowatt requirements?

14 MS. LITTLEFIELD: I would say that the company
15 provided testimony that showed that they don't, with any
16 regularity, perform upgrades for changes in customer demand. I
17 think that certainly in their design standards that the average
18 or the maximum demand is considered in sizing those facilities.
19 And so I'm not stating that there's no impact, but the costs
20 are more fixed than they are variable.

21 MS. PALMER: Okay. I have some follow up about that
22 relationship that I'll get to in a couple questions. I'm
23 wondering is staff aware that the company intends to phase out
24 10 kVA transformers, making 25 kVA the smallest standard-sized
25 transformer moving forward?

1 MR. MCBRIDE: Yes.

2 MS. PALMER: And did the company's decision to
3 increase that transformer capacity from 10 to 25 kVA have to do
4 with increasing demand requirements?

5 MR. MCBRIDE: Can't answer that because that is on
6 the company's side.

7 MS. PALMER: I can point you to the record on that.
8 If you could refer to CMP's response to Gov -- Governor's
9 Energy Office 3-16.

10 MS. LITTLEFIELD: Just give us a moment to get there,
11 please.

12 MS. PALMER: Yes.

13 MR. BRYANT: Sorry, what was the reference again one
14 more time?

15 MS. PALMER: The Governor's Energy Office discovery
16 number 3-16.

17 MR. BRYANT: Thank you.

18 MS. PALMER: And in that response, do you agree -- or
19 let me know if you need another moment. All right, hearing
20 none, do you agree that the company stated that the change --
21 the increase in transformer size is reflective of CMP's
22 distribution planning anticipation that electrification trends
23 will increase load growth?

24 MR. MCBRIDE: It's CMP's response. I mean, I can
25 quote what the response says. It says, "Transformers for

1 single homes on average will serve fewer customers on account
2 of expected trends of electrification and/or installation of
3 larger transformers for the same number of customers connected
4 to it."

5 MS. PALMER: Yes. Later in the response -- there's
6 more to the response. However, I can move past that. Did
7 staff evaluate any other ways to recover these demand-related
8 costs outside of kilowatt hour charges or outside of increasing
9 the fixed charge as proposed by CMP?

10 MR. MCBRIDE: I think there's kind of several parts
11 to your question, and I want to make sure I address all of
12 them. I think the sort of predicate of the question is that
13 they're demand-related costs. Is that correct? You're just
14 kind of assuming that these are -- that the increase in
15 transformer size is demand related?

16 MS. PALMER: Oh, it's not an assumption. It's stated
17 by the company in the discovery response we just looked at.
18 They relate that increased transformer size to increased load
19 growth.

20 MR. MCBRIDE: I think that's, like, your conclusion
21 about the company's data response, and it feels like it's not
22 really related to our testimony. I'm not trying to be
23 difficult. I'm just kind of trying to figure out how this
24 relates to our testimony because I think you're kind of asking
25 me to, like, do the company's reasoning for it or something

1 like that.

2 MS. PALMER: Oh, no, no. No, I wouldn't ask that. I
3 related to your testimony because the Reply Bench Analysis, as
4 I referred to at the beginning of my questioning, stated that
5 the majority of CMP's distribution costs are not caused by
6 variations in volumetric usage. And the question for staff was
7 if staff believes or takes the position that those costs vary
8 with changes in kilowatt requirements.

9 MR. MCBRIDE: I think we do take the position that
10 there are demand-related costs for the company.

11 MS. LITTLEFIELD: I'd like to add something to that
12 before you go on. So I think in the Bench Analysis -- Reply
13 Bench Analysis what we were saying is that on an individual
14 customer basis, the sizing of a transformer is not necessarily
15 going to be super individualized. It's subject to a standard
16 that the company has in its system planning, and that system
17 planning might take into account aggregate growth in demand or
18 in load. But because it's a standardized move to a different
19 size, that is not going to be changed by individual customer
20 behavior as quickly. Does that make sense? So essentially
21 what I'm getting at is that if I increase my load by double,
22 CMP has system planning efforts in place that are going to
23 accommodate some of that growth, and they're not going to
24 necessarily -- every time I increase my billing consumption
25 every month, they're not going to be thinking, well, what

1 upgrades do I have to do to the grid? Does that make sense?

2 MS. PALMER: Yes, that does make sense. I -- that
3 leads me right into -- or I hear what you're saying
4 (indiscernible) I agree. That leads me right into my next line
5 of questioning. I think what you're saying is very similar to
6 the Reply Bench Analysis, 47, line 6 which states that there is
7 no evidence in this case that CMP frequently replaces local
8 facilities plant because of increased customer kilowatt hour
9 usage. And I'd just like to ask you about some examples on the
10 record that do seem to demonstrate that load growth could
11 trigger facilities upgrades -- upgrade costs. If you could
12 refer to OPA 10-3, number -- or letter E --

13 MR. MCBRIDE: And just while we're pulling that up, I
14 mean, again, with sort of, like, the assumption in the
15 question, I think you're kind of aligning the difference
16 between kilowatt hours and load growth and demand, right?
17 Because what we say in the Reply Bench Analysis is that there's
18 no evidence that CMP replaces local facilities plant because of
19 increased customer kilowatt hour usage. We don't say that
20 there's no evidence that CMP replaces plant because of
21 increased customer kilowatt usage. So that's not our
22 testimony.

23 MS. PALMER: That's a good distinction. On that
24 point, I'm wondering -- I'll return to the last discovery, but
25 since you raised that point, I'm wondering did staff see the

1 analysis by OPA witnesses Borden and Whited in their direct
2 testimony showing a linear relationship between a customer's
3 energy consumption and maximum demand?

4 MR. MCBRIDE: There's a positive correlation between
5 the two, but a linear relationship to me would imply that it's
6 one to one which I don't think it necessarily is.

7 MS. PALMER: In this, linear does not have to mean
8 one to one. They specify kind of the fit of that -- of their
9 model and acknowledge that it's not one to one, that it is
10 linearly correlated and that a customer's energy consumption
11 and maximum demand are related, positively related.

12 MR. MCBRIDE: And just to be clear -- sure. I mean,
13 just to be clear, the notion of being linear has to do with
14 their selection of a model, right? I mean, if you think about
15 how they would do that, you just choose a linear model. That
16 doesn't necessarily mean that the data is linear. I mean,
17 there's a positive correlation, yes.

18 MS. PALMER: Yes, the results of the model would
19 depend on the model specifications, that's true.

20 MR. BRYANT: My -- can I interrupt you? My sense is
21 that the Q&A is getting away from Q&A and becoming more like a
22 debate. I'd asked the questioner to please, you know, come
23 back to a question and the answer -- person answering to just
24 answer the question. Can -- thank you.

25 MS. PALMER: All right, to return to OPA 10-3, letter

1 E, that states, "EVs, air source heat pump, and air
2 conditioning adoption may drive up customer maximum demand and,
3 therefore, put pressure on the local conductor, and the company
4 may need to upgrade conductor ampacity at that time." Does
5 staff agree that CMP's statement indicates that local
6 facilities would be replaced due to increased kilowatt
7 requirements and corresponding load?

8 MS. LITTLEFIELD: I think that -- and this is not my
9 testimony, but I think that what OPA 10-3, subsection E is
10 stating is that it could.

11 MS. PALMER: Okay.

12 MS. LITTLEFIELD: Emphasis on "it could" put pressure
13 on the local conductor, and obviously to follow on with that,
14 they talk about rate design and incentivizing load shifting to
15 mitigate that pressure on that conductor. So I think that it
16 does not show that they are replacing this plant with any
17 significant regularity.

18 MS. PALMER: Okay. Does staff agree that if they
19 were upgrading local facilities, that would constitute a change
20 in cost, an increase in facilities cost?

21 MR. MCBRIDE: Yes.

22 MS. PALMER: Okay. A question regarding beneficial
23 electrification. If you could refer to staff Reply Bench
24 Analysis at 47, line 18 which states, "Staff believes that
25 shifting rate design from volumetric charges to fixed charges

1 would improve the attractiveness and affordability of
2 beneficial electrification." Does staff also believe that a
3 time-of-use rate could be structured to incentivize
4 electrification?

5 MR. MCBRIDE: Certainly could.

6 MS. PALMER: Does staff believe that a time-of-use
7 rate could do so more equitably than increasing the customer
8 charge and using a flat kilowatt hour rate?

9 MR. MCBRIDE: That's a really big question. I feel
10 like we definitely don't make that claim in our testimony.

11 MS. PALMER: Okay. That concludes my questioning.

12 MR. BRYANT: Thank you, Ms. Palmer. So that is --
13 that's the end of parties who have set aside time to ask
14 questions of the staff. I guess now I'll ask if any other
15 parties have follow-up questions for the staff before we move
16 on to the next panel. I don't see anyone in the room who's --
17 hasn't already participated. Anybody online care to ask any --
18 need to ask any follow-up questions of the staff? Okay, seeing
19 nothing. Okay. So the next on the schedule is the witness
20 panel for the Governor's Energy Office, and that is Mr. Nelson,
21 Ms. Palmer, and Mr. Balakumar. And Efficiency Maine Trust has
22 set aside some time to ask that panel questions. I would
23 remind the three witnesses that you're under oath from a
24 previous session and, Ian, why don't you to go ahead and ask
25 your questions.

1 MR. BURNES: Was hoping we'd maybe get some calories
2 into us before we did this, but I think it's a wise strategy to
3 keep this short. So my questions are -- you know, we're going
4 to zone in on page 62 of your recommend -- the updates to your
5 recommendations. Hopefully we can work here and not have to go
6 too far into detail into each one of these proposals. But in
7 coming to these recommendations, was the panel aware of
8 Efficiency Maine Trust's triennial plan and the programs for
9 active load management that are included in Efficiency Maine
10 Trust's fifth triennial plan?

11 MR. NELSON: Can you -- sorry, can you tell me one
12 more time what page of the surrebuttal?

13 MR. BURNES: Sixty-two, and this is specifically
14 around the recommendation that the company run an active load
15 management program.

16 MR. NELSON: Yeah. Mr. Balakumar, do you want to
17 take that one?

18 MR. BALAKUMAR: Yes, we were aware of Efficiency
19 Maine's programs, yes.

20 MR. BURNES: So is it the assumption then that the
21 company would take advantage of our programs or start a new
22 program?

23 MR. BALAKUMAR: So I think the idea here was -- and
24 this is kind of the theme of the broader recommendations
25 regarding electric vehicles, was really to take a -- ensure

1 that Maine as a whole takes a comprehensive approach across
2 investments, load management, make-ready planning, and making
3 sure we have comprehensive plans around each of those. I think
4 our intention here is not to replace existing programs but
5 leverage existing investments and learnings where possible. I
6 think we believe that there's an important role here for
7 Efficiency Maine and for the utilities. And so we believe
8 these plans will really find a way to bring all the parties
9 together to make sure that we're coordinated across all these
10 programs.

11 MR. NELSON: And I would just add onto that, if you
12 don't mind, Mr. Burnes.

13 MR. BURNES: Please.

14 MR. NELSON: We think that the -- specifically the
15 ALM issue, having worked on this in several states, is very
16 important. And to be clear, I'm not clear on exactly the roles
17 and responsibilities across Maine with respect to how you're
18 going to manage behind-the-meter and in-front-of-the-meter load
19 and associated grid asset requirements, but ALM is going to
20 have impacts on both the behind the meter and in front of the
21 meter. And so, you know, we see that collaboration is kind of
22 needed on that piece. We're open to figure out how to make
23 that work. We're not duplicating efforts.

24 MR. BURNES: Okay. So that sounds fair. So in your
25 recommendations, especially around active load management, you

1 don't mention Efficiency Maine Trust or our programs, but
2 perhaps you might amend those recommendations or add to them to
3 say that the report should take full advantage of the
4 investments and experience already made by Efficiency Maine
5 Trust in the areas of active load management in coming up with
6 the utility's proposed plan.

7 MR. NELSON: Yeah, I think, again, you know, similar
8 thread of definitely not wanting to create duplicative load
9 management offerings and wanting them to be complementary. And
10 having some structure in place to ensure that whatever
11 Efficiency Maine is offering is complementary to CMP. Does
12 that make -- does that answer your question?

13 MR. BURNES: I think so, but I just want to make sure
14 that we're clear for the record and all the parties understand
15 that your recommendation is not that the company run an ALM
16 pilot but that a (sic) ALM pilot should occur. There's a
17 difference, right?

18 MR. NELSON: Yeah, I think load management, in
19 general, we're saying we need a comprehensive framework to
20 ensure that the services that EVs require to be integrated
21 efficiently and at a low cost are in place. Whose roles -- the
22 roles and responsibilities for providing the load management
23 services I think is a little beyond our exact scope here. I
24 think that's kind of the -- you know, that's kind of beyond the
25 scope of our testimony to say Efficiency Maine should be doing

1 X, CMP should be doing Y. I think what we're trying to say is
2 there needs to be a process that does actually make it clear
3 the roles and responsibilities and how these programs and
4 services will complement one another.

5 MR. BURNES: Okay. And just one level -- further
6 level of detail, you're calling for a pilot. You may be aware
7 or may not be aware that Efficiency Maine Trust has already run
8 a pilot that includes EV telematics and EV chargers. Would you
9 agree that if we've already run that pilot, that it would be
10 better to just apply those learnings and do a program?

11 MR. NELSON: I think with any pilot that you're
12 running should have a path to scale to a full offering. And so
13 I have not reviewed the specifics of those pilots. So I'm not
14 sure what their objectives were, if they achieved those
15 objectives. So I can say at a high level that generally that's
16 how you should be working with pilots is seeing if they were
17 successful and then scaling those offerings if they were
18 successful.

19 MR. BURNES: Okay.

20 MR. NELSON: But I can't testify specifically to the
21 specifics of the pilot.

22 MR. BURNES: Okay. So that's -- I just don't want
23 anybody to be confused here that we need to go backwards and do
24 a pilot when we've already had a successful pilot in Maine. So
25 you wouldn't recommend that?

1 MR. NELSON: Well, Mr. Balakumar can help me out here
2 if, but we're talking about -- specifically, we're talking
3 about a pilot program for ALM and you noted that you've done a
4 pilot for -- with telematics and EVSE. Is that what you're
5 saying?

6 MR. BURNES: Yes, we've done a pilot for -- so just
7 to be clear, I don't want this to turn into a conversation. So
8 we have a program now in place for active and passive load
9 management for EV chargers and telematics that is the result of
10 a successful pilot program. You wouldn't want us to go back
11 and repeat that pilot or have someone else repeat that pilot,
12 you would want us to build on that success and not go
13 backwards?

14 MR. NELSON: Yes, and to try to make sure this is
15 clear, automated load management is different from active and
16 passive load management. Automated load management happens at
17 the time of connection to the grid for the EV chargers. So
18 it's limiting the point of interconnection capacity using
19 either a software or a smart inverter. And so -- or, for
20 example, on-site storage. And so that's why you've got limited
21 capacity on the behind-the-meter meter side and then the -- if
22 you don't have the utility involved, they can't reflect the
23 limited capacity that's going in behind the meter to limit the
24 upgrades on the utility side. Right? So if you have a bank
25 of, you know, a hundred L2 chargers that have a five-megawatt

1 peak with no software, no controls, you can limit it and say
2 that bank creates an upgrade at four megawatts. You can limit
3 the point of interconnection capacity before four megawatts and
4 not upgrade the utility side and still have most of the
5 capacity that you would need for those L -- that hundred L2
6 chargers, right? Because it's very infrequent that you're
7 going to have all hundred L2s charging at the exact same time
8 on peak. Right? So their coincident peak on site is very
9 rarely going to hit five megawatts, but most of the time the
10 utility's taking that five megawatts and building the system
11 out to it because they have to prepare for that worst case
12 scenario. And so that's what the automated load management
13 pilot would be looking at. It's also called EV energy
14 management systems. So there's multiple different ways you can
15 do this, but what we find is that there's a big education
16 component because a lot of people aren't aware of the process
17 of how to do this and how to integrate it into the
18 interconnection process and the line extension process.

19 MR. BURNES: Okay, I think that's helpful, and I
20 think that highlights the need to include both in front and
21 behind the meter. Are -- so I think to summarize here, what
22 we're looking at is basically an update in your recommendation
23 just to include the idea that the company in this -- that your
24 recommendation would ask the company to involve Efficiency
25 Maine Trust in the active load management and be sure to

1 coordinate the resources that Efficiency Maine Trust has
2 already invested in. Does that sound right?

3 MR. NELSON: I don't know at what time we are
4 updating our recommendation. I guess I would say here that our
5 recommendations are not meant to duplicate efforts in any
6 areas. Our -- and so to the extent that our recommendations
7 are duplicating functions already provided by Efficiency Maine,
8 the Commission should be looking at harmonizing our
9 recommendations with that so that we're minimizing costs for
10 ratepayers because we're not here to create duplicative
11 systems. Mr. Balakumar, you have something to add?

12 MR. BALAKUMAR: Yeah, and to build on that, we've
13 mentioned I believe a few times in testimony the importance of
14 collaboration with stakeholders on these plans and specifically
15 Efficiency Maine. So I think our recommendations already kind
16 of imply that any load management plan or any plans related to
17 EV programs would include significant stakeholder collaboration
18 and ensuring all resources available are utilized efficiently.

19 MR. BURNES: Okay. I think -- given that I may be
20 standing between a large group of people and lunch, I think
21 that wraps up what I have. Thank you guys very much.

22 MR. BRYANT: Thanks, Ian.

23 MR. NELSON: Yeah. Thank you, Mr. Burnes.

24 MR. BRYANT: Does any party have a follow up for this
25 panel before I excuse them? Hearing none, you're excused.

1 Thank you for your testimony today. And, yes, we will take
2 lunch now. We were five minutes early on when I needed to take
3 the break. Let's come back at 1:15. And what we will have
4 then are some questions by staff of Mr. Borden, the OPA's rate
5 design witness. See you in an hour. Thank you.

6 CONFERENCE RECESSED (May 3, 2023, 12:15 p.m.)

7 CONFERENCE RESUMED (May 3, 2023, 1:15 p.m.)

8 MR. BRYANT: We -- the -- what's left on the schedule
9 today is some questions from staff with Mr. Borden. I can also
10 say that after the company decided not to have questions for
11 our witness tomorrow, we -- staff will also relent and not have
12 questions for Mr. Holloway so that we will not have a technical
13 conference at all tomorrow. Frees up time for whatever else we
14 may need if we end up needing anything, of course, but no --
15 I'll put a procedural order out to that effect.

16 So with that said, let me ask Briana to begin her
17 questioning of Mr. Borden. Mr. Borden, I believe you are under
18 oath from the last proceeding. So I remind you that you remain
19 under oath.

20 MR. BORDEN: Yeah.

21 MS. LITTLEFIELD: Good afternoon, Mr. Borden.

22 MR. BORDEN: Good afternoon.

23 MS. LITTLEFIELD: Is it your recommendation that both
24 optional residential TOU and the default residential service
25 rates should include in their rate design an element of

1 seasonality?

2 MR. BORDEN: Yes.

3 MS. LITTLEFIELD: And in your response to data
4 response (indiscernible) 012-018 you provided workpapers which
5 proposed what seasonal TOU pricing could look like based on the
6 company's own marginal cost of service study. Is that correct?

7 MR. BORDEN: Yes.

8 MS. LITTLEFIELD: And did you perform a similar
9 analysis to show what seasonal price differentials would look
10 like for default residential?

11 MR. BORDEN: I believe that's in our direct
12 testimony. I believe we did in our direct testimony. I can
13 try to find it.

14 MS. LITTLEFIELD: Okay. If you could find the
15 reference, that would be helpful. And in the previously-
16 mentioned data request, that did not include an analysis of
17 bill impacts?

18 MR. BORDEN: Correct.

19 MS. LITTLEFIELD: Thank you. Are you aware of any
20 peer-reviewed literature or data that shows any similarly-
21 situated utilities changing their default residential service
22 to a seasonally-differentiated delivery pricing?

23 MR. BORDEN: Can you repeat that please?

24 MS. LITTLEFIELD: Are you aware of any peer-reviewed
25 literature or data which shows the impact of a similarly-

1 situated electric utility changing their default residential
2 service option to seasonally-differentiated rates?

3 MR. BORDEN: So many utilities have seasonally-
4 differentiated rates. Off the top of my head, am I aware of
5 literature, I don't know that I could cite the specific study,
6 but I'm sure that there's literature out there. Yeah, I mean,
7 many utilities have seasonally-differentiated rates. That's
8 not uncommon.

9 MS. LITTLEFIELD: So is it correct that in your --
10 for preparation of your testimony, that you would have reviewed
11 any of this literature about default residential service rates?

12 MR. BORDEN: So our testimony was primarily based on
13 economic principles and reviewing the utility's testimony and,
14 in particular, utility data about marginal costs across seasons
15 in this case. So we are providing recommendations based on
16 utility data from its own study.

17 MS. LITTLEFIELD: Okay. Thank you. And if the
18 company were ordered by the Commission to implement seasonal
19 distribution pricing for opt-in residential rate classes, would
20 that not serve as sufficient incentive for those who wish to
21 invest in efficiency measures, different technologies?

22 MR. BORDEN: I'm not sure I understand the question.

23 MS. LITTLEFIELD: In your rebuttal testimony at page
24 six in your discussion of modifying all residential fixed
25 charges, you talk about, given that there's an optional rate,

1 there's no reason to modify rates faced by all other customers.
2 I wondered if you could apply the same reasoning for not
3 applying seasonality to the default service rate.

4 MR. BORDEN: So the default service rate is going to
5 be the rate that the vast majority of customers are on. That
6 rate will be providing certain signals, certain price signals,
7 to customers. And so certainly with electrification, at least
8 at this stage, you have a minority of customers able to do
9 that. It -- that does provide them that option, but I think
10 just saying, well, every customer should find the rate -- you
11 know, the correct rate kind of dismisses the importance of the
12 default rate that we put customers on.

13 MS. LITTLEFIELD: And so you believe that these
14 incentives and price signals are necessary in the default
15 service rate?

16 MR. BORDEN: Well, particularly when it comes to
17 thinking about cost causation, thinking about what, you know,
18 interclass subsidization, and those types of issues, we need to
19 be implementing default rates that address those issues.

20 MR. GRUMSTRUP: So just to be clear, you're saying
21 that the default rate should be seasonally-differentiated. And
22 are you then also saying that there should not be a fixed rate
23 or should -- that it should just be opt in?

24 MR. BORDEN: Sorry. So you're asking me about two
25 things, seasonal differentiation and the fixed charge, or --

1 I'm unclear.

2 MR. GRUMSTRUP: Well. So you -- you're suggesting
3 that the default rate should be seasonally-differentiated,
4 correct?

5 MR. BORDEN: Yes.

6 MR. GRUMSTRUP: So if the default rate is seasonally-
7 differentiated, there would be no flat rate throughout the
8 year. Is that right?

9 MR. BORDEN: I think by flat rate you're referring to
10 a variable charge. The --

11 MR. GRUMSTRUP: I just mean that -- a rate with a
12 price that does not change throughout the year.

13 MR. BORDEN: Yes, the rates would change seasonally.

14 MR. GRUMSTRUP: Okay. So there would be no option
15 for a ratepayer that wanted a price that did not change
16 throughout the year?

17 MR. BORDEN: Well, I think there would still be -- I
18 don't actually know if CMP has, for example, what are referred
19 to as budget payment plans or the ability to have a fixed price
20 throughout the year. So there may be that option. But in
21 terms of the rate options, no, the rates would be -- all be
22 seasonally-differentiated, meaning that they would vary between
23 summer and winter at minimum.

24 MR. GRUMSTRUP: Okay. Thank you.

25 MS. LITTLEFIELD: Mr. Borden, could I have you turn

1 your attention to your response to Examiners 38-002? And it's
2 your testimony --

3 MR. BORDEN: Can you give me a moment? Sorry.

4 MS. LITTLEFIELD: Yeah, sorry.

5 MR. BORDEN: Okay, go ahead.

6 MS. LITTLEFIELD: All right. And in your response to
7 Examiners 38-2, you state that incorporating seasonality into
8 TOU rates encourages customers to invest in more efficient
9 appliances in higher-cost seasons. I would assume -- well, no,
10 I'll ask you. Does this statement apply to the default service
11 residential customers as well?

12 MR. BORDEN: Yes.

13 MS. LITTLEFIELD: And would this framework of
14 seasonal pricing have the potential to penalize or potentially
15 harm those who don't have, for whatever reason, the ability to
16 make such investments in efficient technologies?

17 MR. BORDEN: I don't know that I would see it as
18 harming them. It's sending price signals that are aligned with
19 the utility's marginal cost study. And so, you know, by not
20 sending those price signals, you're harming other customers.
21 If you're asking -- well, so, yeah, I'll stop there.

22 MS. LITTLEFIELD: Okay. And you continue and you say
23 that seasonality also provides improved economic signals for
24 fuel switching in the winter. Again, I'll ask would this
25 framework have potential to penalize or to harm those who, for

1 whatever reason, are unable to switch fuels?

2 MR. BORDEN: So I think --

3 MS. LITTLEFIELD: For example, people who rent or are
4 not in control of their primary heating sources.

5 MR. BORDEN: So, again, it's reflecting on the fact
6 that marginal costs are much higher in the summer than in the
7 winter, yet the utility's rates don't reflect that. And so you
8 get -- as it says, you have interclass equity issues, fairness
9 issues. You know, the -- there's no -- on an annual basis
10 there's no bill impact, but on a seasonal basis, there is a
11 bill impact. Like, we're not increasing the revenue
12 requirement somehow with this recommendation.

13 MS. LITTLEFIELD: I mean, I understand that rate
14 design is a zero sum game, right? But I'm kind of thinking of
15 this more as total bill impact from individual customer basis.
16 But -- for their entire year, but I'll put that aside. And
17 then I heard you just kind of use this term, and you use it
18 also on page eight of your surrebuttal testimony. You state
19 that pricing -- the same price for all hours for all seasons
20 results in interclass inequities. Could you explain the use of
21 that term, interclass inequities?

22 MR. BORDEN: It's just thinking about -- so we're
23 just talking about the residential class and different
24 residential customers and, you know, in particular, customers
25 -- sort of subsidization that occurs across just residential

1 customers.

2 MS. LITTLEFIELD: So you speak to customers on the
3 residential rate who use a larger share of their electricity
4 during the winter subsidizing those who use a larger share of
5 their electricity during the summer. Would the same also be
6 true of winter intensive usage customers being cross subsidized
7 by summer intensive customers? Do you know --

8 MR. BORDEN: I don't understand the question or --
9 like, in what case, under the utility's rates, under our
10 proposal?

11 MS. LITTLEFIELD: So under the utility's current rate
12 A and residential TOU rates without seasonality, I think the
13 concern that was brought up in your surrebuttal testimony is
14 that customers who use more in the winter would be subsidizing
15 customers who use more in the summer. And I'm wondering if the
16 reverse is not true.

17 MR. BORDEN: I don't believe the reverse is true.

18 MS. LITTLEFIELD: Okay. And also in response to
19 Examiners 38-2, you've stated that seasonal differentiation and
20 pricing improves interclass equity and fairness. Do you have
21 any data that shows seasonal usage by income level that would
22 be applicable to this case?

23 MR. BORDEN: So there we're talking about -- we were
24 not using fairness in terms of income level.

25 MS. LITTLEFIELD: Okay. How were you defining

1 fairness?

2 MR. BORDEN: Honestly, pretty similar as interclass
3 equity. Because customers -- because, as the company's
4 marginal cost service study shows, customers who use more in
5 the summer in general, particularly depending on the time,
6 cause more costs on the system. And so from an economic
7 perspective, those customers should be paying more than
8 customers who use less or more in winter.

9 MS. LITTLEFIELD: Okay. I'm going to move a little
10 bit away from this seasonality topic. In your response to
11 Examiners 38-1, you stated -- you've actually restated your
12 direct testimony, your recommendation that, as an alternative
13 to raising the fixed charge, that a higher number of kilowatt
14 hours be included in the minimum for residential classes.
15 Could you kind of confirm my understanding that this would mean
16 you'd have more customers within rate A, for example, paying
17 exactly the minimum customer charge? Is that what that means?

18 MR. BORDEN: Right, if you include more kilowatt
19 hours as part of that fixed charge, then I think that's right.
20 By definition, you'd have more customers paying that depending
21 on, yeah, how much you increase it by.

22 MS. LITTLEFIELD: Okay. And then I'd like to just
23 kind of dive into that methodology a little bit more. So in
24 calculating rates under this scenario, would you determine the
25 amount of the total fixed charge before or after you apply the

1 kilowatt hours into the minimum? And I recognize that was a
2 confusing question. It was confusing to me writing it.

3 MR. BORDEN: I think I'm confused. I'll -- so you're
4 determining -- well, are you saying how do you determine the
5 bill impact or -- I think, you know, you're determining the
6 fixed charge based on, you know, your cost of service study,
7 economic principles, and then you're determining bill impacts
8 after that. I don't know if that -- I think that answers the
9 question, but I'm not sure.

10 MS. LITTLEFIELD: I guess -- so if you're determining
11 the amount of the fixed charge before you're determining how
12 many kilowatt hours are included in the minimum, then I guess I
13 don't understand how the total fixed charge would be
14 calculated. If it's after you've included that minimum
15 kilowatt hours, then it would, in theory -- this is a question.
16 This isn't a statement. In theory, would this result in the
17 average dollars per kilowatt hour price be lower than in the
18 current proposal by the company? Do you understand what I'm
19 getting at there?

20 MR. BORDEN: Possibly. I think, you know, we did, in
21 this data request, you know, propose an initial methodology,
22 but certainly, like, my preference would be to kind of look at
23 bill impact and iterations of, okay, this fixed charge with
24 this amount of minimum kilowatt hours, like, what does that do
25 to bill impacts, you know, and look at it more iteratively that

1 way than just saying, like, there's one number of minimum
2 kilowatt hours that can be included in the fixed charge.

3 MS. LITTLEFIELD: And, Mr. Borden, did you provide
4 anywhere in this record any such analysis on bill impacts?

5 MR. BORDEN: No, this -- I mean, this is not our
6 primary recommendation. Our recommendation is that the fixed
7 charge be rejected -- or the fixed charge increase be rejected.
8 We said as an alternative if -- that if the Commission doesn't
9 agree with us, that they should at least increase the number of
10 kilowatt hours included in the fixed charge.

11 MS. LITTLEFIELD: Okay, thank you. I think I'm all
12 set.

13 MR. BRYANT: Okay. Is there any follow up from
14 another party on the questioning that just occurred? I see no
15 hands. So, Mr. Borden, you're excused. Thank you for your
16 testimony.

17 MR. BORDEN: Yeah. Thank you.


18 MR. BRYANT: And that concludes the questioning on
19 the schedule for today. As I said earlier, no one has
20 questions for witnesses tomorrow so this will bring the
21 technical conference to a close. I will issue a procedural
22 order canceling tomorrow's technical conference. And with
23 that, we are adjourned and can go off the record.

24 CONFERENCE ADJOURNED (May 3, 2023, 1:38 p.m.)

25

C E R T I F I C A T E

I hereby certify that this is a true and accurate transcript of the proceedings which have been electronically recorded in this matter on the aforementioned hearing date.

A handwritten signature in cursive script, reading "D. Noelle Forrest", is positioned above a horizontal line.

D. Noelle Forrest, Transcriber