

241250145

COMMONWEALTH OF VIRGINIA
STATE CORPORATION COMMISSION

CASE NO. PUR-2024-00144

2024 DEC 26 A 11:11

SIS-2024-00145
COMMONWEALTH OF VIRGINIA
STATE CORPORATION COMMISSION

----- x
DATA CENTER LOAD TECHNICAL CONFERENCE :
:
----- x



ORIGINAL

Held before:

The Honorable Kelsey A. Bagot, Commissioner
The Honorable Samuel T. Towell, Commissioner
The Honorable Jehmal T. Hudson, Commissioner

Monday, December 16, 2024

9:16 a.m. to 4:35 p.m.

Richmond, Virginia

Job No.: 555720

Pages: 1 - 273

Transcribed by: Bonnie Torrez, CET-1213

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Hearing, held at:

State Corporation Commission
1300 East Main Street
2nd Floor
Richmond, Virginia 23218

Pursuant to notice, before Joshua Tubbs, Notary Public of
the State of Virginia.

1	C O N T E N T S	
2		PAGE
3	INTRODUCTORY REMARKS PANEL 1	13
4	GAURAV KARANDIKAR, SERC RELIABILITY CORPORATION	14
5	MARC CHUPKA, TRAILHEAD ENERGY CONSULTING, LLC	18
6	AARON TINJUM, DATA CENTER COALITION	24
7	STAN BLACKWELL, DOMINION ENERGY	32
8	JOHN HEWA, RAPPAHANNOCK ELECTRIC COOPERATIVE	38
9		
10	INTRODUCTORY REMARKS PANEL 2	
11	by Mr. Gaskill (Dominion)	100
12	By Mr. George (GEMD Team)	105
13	By James Wilson (WEE)	107
14	By Mr. Robb (ODEC)	112
15	By Ms. Robb (VMA)	123
16	By Mr. Kroboth (DCA)	128
17	Questioning by the Commission	130
18		
19	CLOSING STATMENTS	
20	By Mr. Kroboth	188
21	By Ms. Robb	188
22	By Mr. Robb	188
23	By Mr. Wilson	189
24	By Mr. George	189
25	By Mr. Gaskill	190

Transcript of Hearing
Conducted on December 16, 2024

4

241250145

1		PAGE
2	INTRODUCTORY REMARKS PANEL 3	
3	by Mr. Vaughn (APCo)	191
4	By Mr. George	195
5	By Mr. Jaramillo (NOVEC)	199
6	By Mr. Smith (TCM)	203
7	by Mr. Crenshaw (AES)	206
8	Questions by the Commission	211
9		
10	CLOSING STATEMENTS	
11	By Mr. Crenshaw	262
12	By Mr. Jaramillo	263
13	By Mr. George	264
14	By Mr. Vaughn	265
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

THE BAILIFF: Today's docket consists of case number PUR 2024-0144, Electric Utilities and Load Growth Technical Conference. The Honorable Kelsey A. Bagot presiding.

COMMISSIONER BAGOT: All right. Good morning, everyone.

All right. We got our panelists' tent cards all set up? So good morning, everyone, and welcome to today's technical conference on Electric Utilities and Load Growth, which has been docketed as case number PUR-2024-00144.

First of all, I just want to thank you all for being here today. And a big thanks in particular to our esteemed panelists for their willingness to participate. Wouldn't be much of a technical conference without all of them being here today, willing to share their knowledge and expertise with us. So thank you in advance.

Before I kick off and turn to my colleagues for any opening remarks, I want to touch on a few quick run-of-show matters. As laid out in today's agenda, today's technical conference has been broken down into three panels, each which will run approximately for two hours. We've attempted to divide up the panels on different -- based on different subject matters, but we

1 recognize that there's a lot of overlap between
2 the various panel topics. And so we know that there'll
3 be a little bit of overlap in discussion. So we expect
4 that. Don't worry if you tend to stray or if you want to
5 react to any of the comments made in earlier panels.

6 At the start of each panel, we will invite each
7 panelist to introduce themselves and provide brief
8 introductory remarks. There is a time clock.

9 Jabari, is it over --

10 Which hopefully you all can see. That is to
11 help keep -- us keep track of time as you speak. We're
12 not going to cut you off if it hits zero. And you
13 certainly don't need to take all of the time allotted on
14 the clock, but it's there as a reference for you if you
15 need it.

16 Once we get past introductory remarks for each
17 panel, we're going to jump into what I really hope will
18 be the heart of each panel, which is the Q and A between
19 the commissioners and the panelists. Questions from the
20 commissioners may be directed to individual panelists or
21 the panel as a whole. If you wish to answer a question
22 or respond to an answer provided by one of the other
23 panelists, we'd ask that you raise your name card so it's
24 vertical in front of you. And we'll do our best to try
25 and call on you based on the order that your tent card

1 was raised.

2 Let's see. So the goal today is really to have
3 a robust exchange between the commissioners and the
4 panelists on each of the panel topics. So please don't
5 feel shy about raising your card to speak or being
6 responsive to other panelists' comments. That said,
7 we'll ask that panelists keep their responses to a
8 reasonable length of time so that we have time for as
9 many questions as possible. We don't want to have to
10 catch you off, but we will if we have to.

11 As a reminder, today's conference is being
12 webcast and transcribed, and a copy of the final
13 transcript will be publicly available and posted in the
14 docket after the technical conference. And at the
15 conclusion of today's technical conference, we'll provide
16 some additional information regarding the opportunity for
17 interested persons to file post-technical conference
18 comments reacting to any of the topics discussed here
19 today.

20 So before I go any further, I just want to
21 pause there and see if our panelists in the audience have
22 any preliminary administrative questions about the day.
23 Hopefully we covered it all.

24 All right. I don't see any. So let's jump in.
25 We are here today to talk about data centers and load

1 growth. Data centers have certainly become the latest
2 and greatest topic of conversation, even outside the
3 wonky inner circles of electric utility regulation. But
4 they are a hot topic for a good reason.

5 I think it's safe to say that we all appreciate
6 or are at least beginning to appreciate the unprecedented
7 nature of data center load growth. There's a lot of it.
8 It's coming fast. And it may have characteristics that
9 differ significantly from the type of load that we've
10 been used to seeing before.

11 So all of this presents a unique set of
12 challenges and risks for utilities, customers, and
13 regulators. And these are real challenges, significant
14 challenges. There are challenges that include
15 affordability of electric service, and there are
16 challenges that include reliability of electric service.
17 Wrestling with these challenges also presents us with a
18 tremendous opportunity. If we do it right, we have an
19 opportunity to reshape our energy landscape to be more
20 efficient, more equitable, more green, and more reliable
21 as we look at the future of electric service in Virginia.

22 To meet these challenges and come out better on
23 the other side, no one person, utility, legislator, or
24 regulator can do it alone, which is why we are here
25 today. The goal was to get a lot of smart people in a

1 room together, representing a variety of perspectives to
2 begin the discussion and start wrestling with the
3 potential solutions we have at our disposal to address
4 the challenges ahead.

5 Just to kick us off to the extent it'd be
6 helpful, as I was thinking about these issues going into
7 today's conference, I thought of three I'll say buckets
8 or categories of problems as I think about them, and I'm
9 hoping that we can sort of touch on these today, though
10 certainly these are not the only topics we will touch on
11 today.

12 The first, I think, is the question of fair
13 allocation of costs as we go forward. So what is a fair
14 share and a fair way for allocating these costs? Aside
15 from that question of providing generation and the fair
16 share -- or serving the load and the fair share of costs
17 with respect to that, I think we then get to a second
18 question, which is a risk mitigation question, which is a
19 load forecasting risk and a stranded cost risk.

20 I think the third question that I've been
21 wrestling with is the question of increasing pressure on
22 energy prices, which we'll probably see in the PJM
23 wholesale markets, regardless of whether data center
24 development is precisely happening in Virginia or
25 elsewhere in the PJM region. So what and how can we be

1 protecting our customers or taking risk-mitigating
2 measures to protect ourselves from volatility or high
3 prices that we see in the PJM market?

4 So the first question is, what is the fair
5 allocation as we seek to serve these data center
6 customers? How can we protect ourselves from stranded
7 costs or load forecasting errors? And then how do we
8 protect ourselves as a whole from changes we might see in
9 energy prices in the coming decades?

10 So those were my initial thoughts in the
11 interest of transparency and to get the dialogue started.
12 I'm going to stop there, and I'm going to pass it off to
13 chair Jehmal Hudson for any introductory remarks he may
14 have.

15 COMMISSIONER HUDSON: Thank you, Judge Bagot.
16 Before we begin, I'd like to express my deep appreciation
17 for your leadership convening this inaugural technical
18 conference. I also want to recognize Mitch Burton, Kate
19 Creef, Alisson Klaiber, and the entire SCC staff for
20 their hard work in making today's event possible.

21 To level set for everyone here, a technical
22 conference at a public utilities commission like ours
23 provides a collaborative forum where experts and
24 stakeholders gather to address complex technical issues.
25 These discussions focus on emerging trends and challenges

1 in utility operations, aiming to provide robust analysis
2 and insight to guide regulatory decisions. Importantly,
3 today's conference is not about resolving specific cases
4 but about laying the groundwork for sound decision-making
5 in an area of critical importance to Virginia's energy
6 future.

7 The Virginia State Corporation Commission takes
8 great care to fulfill its role as set forth by the
9 General Assembly. The Commission strives to implement
10 our authority under the statute in a manner that
11 implements the General Assembly's intent and that
12 protects consumers who expect reliable and affordable
13 service. Where given discretion, the Commission strives
14 to apply the law and regulations to balance the interest
15 between utilities and consumers when it comes to the
16 economic concerns of the Commonwealth. And today, that
17 balance is becoming more complex and challenging by the
18 day.

19 Virginia has been a national leader in data
20 center development, a sector that continues to drive
21 significant economic growth across the commonwealth. But
22 this growth continues to make new challenges every day.
23 Hyperscale power users like data centers place
24 unprecedented demands on our electric grid and utilities.
25 At the same time, the Commission is tasked with

Transcript of Hearing
Conducted on December 16, 2024

12

1 implementing the requirements of the Virginia Clean
2 Economy Act while best protecting consumers who expect
3 reliable and affordable service.

4 Now, utilities may petition the Commission
5 relief from these requirements if they are concerned that
6 a retiring carbon-emitting facility on the basis that the
7 requirement would threaten reliability or security of
8 electric service to consumers. Above all, our foremost
9 responsibility remains ensuring great reliability for all
10 Virginians. Yet even with these safeguards, the growing
11 demands of large-use retail customers present unique
12 pressures that require thoughtful planning, proactive
13 solutions, and collaboration among all stakeholders.

14 Today's conference serves as an important step
15 in identifying potential frameworks to address these
16 challenges. I hope today's discussions shed light on the
17 near-term actions we must take to address the impacts of
18 this already expanding load. And as we consider
19 long-term solutions, we cannot lose sight of the urgency
20 of the moment. The load is here, it is being built now,
21 and we must respond accordingly.

22 Taking years to perfect our approach is not an
23 option. The stakes are too high for Virginia's economy,
24 its energy reliability, and its residents. This is an
25 opportunity to shape a path forward that ensures we meet

Transcript of Hearing
Conducted on December 16, 2024

13

1 today's challenges with foresight, pragmatism, and a
2 shared commitment to the public good.

3 So I look forward to the insights and ideas
4 that will emerge from today's discussions. Thank you.

5 COMMISSIONER BAGOT: Thank you, Chair Hudson.
6 Commissioner Towell?

7 COMMISSIONER TOWELL: Thank you, Judge Bagot.
8 I would just like to reiterate my colleague's comments
9 and thank everyone who is participating today who has
10 filed pre-filed comments thus far, and to remind everyone
11 who's both in the room and watching via webcast and
12 otherwise that there will be an opportunity to file
13 post-conference comments as well, as we continue to
14 wrestle with this what has been called in the popular
15 press on numerous occasions, A once-in-a-generation
16 challenge and the largest load growth scenario since the
17 conclusion of World War II.

18 All eyes are very much on Virginia as the home
19 of the largest concentration of data centers and other
20 hyperscale users in the entire world. I believe if you
21 add the second two markets, which I believe at last check
22 were China and I believe Great Britain, they together
23 combine just slightly more than Loudoun County, Virginia.
24 And so the issues that we are wrestling with today and in
25 the days to come are of significant importance, not just

Transcript of Hearing
Conducted on December 16, 2024

14

1 here in Virginia but across at least The United States of
2 America.

3 I will say that between the time that the
4 General Assembly voted on my election to this job and the
5 time that I came on board, which was roughly a month and
6 a half, it seems that this entire issue arose. And so
7 thanks for that, everybody.

8 But today is I think a very important day as
9 both the Commission, interested users, customers of all
10 classes and types begin to get a more fuller and
11 comprehensive understanding of not only the challenges
12 but also the opportunities that are afforded the grid
13 based on this most recent and exciting challenge when it
14 comes to both load growth and the use to which our load
15 is being put here in the Commonwealth of Virginia. Thank
16 you all very much.

17 COMMISSIONER BAGOT: Thank you, Judge Towell.
18 So with that, I'll ask the panelists for the first panel
19 to please take your seats. And I will kick it off to
20 Chair Hudson to get us started with panel 1.

21 COMMISSIONER HUDSON: Thank you, Judge Bagot.

22 All right. Good morning. Good morning,
23 everyone. So to kick things off, not all types of load
24 are equal. For data centers, the load profile is rather
25 unique. It's categorized as being very high. There's a

Transcript of Hearing
Conducted on December 16, 2024

15

1 constant demand that remains stable throughout, across
2 all seasons. And when it comes to the forecasting,
3 there's significant forecast uncertainty as projections
4 of future load often lack the confidence of alignment
5 with the actual outcomes.

6 And so what I'd like to hear from each one of
7 you is how can we currently account for the potentially
8 speculative nature of large-load customers' requests when
9 it comes to system planning?

10 COMMISSIONER BAGOT: Chair Hudson, I don't want
11 to interrupt your question. Do you mind if we quickly
12 run through some brief introductions --

13 COMMISSIONER HUDSON: Oh, absolutely.

14 COMMISSIONER BAGOT: -- of each of the
15 panelists? I apologize.

16 COMMISSIONER HUDSON: Oh, no problem.

17 COMMISSIONER BAGOT: So I'll start on my left.
18 And we'll go from left to right. Brief introductions.
19 To the extent you have short opening remarks, please
20 provide them. And then we'll jump into your question.

21 COMMISSIONER HUDSON: Absolutely.

22 COMMISSIONER BAGOT: I apologize.

23 COMMISSIONER HUDSON: Absolutely. I was just
24 so excited. I'm sorry.

25 MR. KARANDIKAR: Good morning. Chair Hudson,

Transcript of Hearing
Conducted on December 16, 2024

16

1 Distinguished Judges of Virginia State Corporation
2 Commission, thank you. Thank you for the opportunity to
3 speak about the load growth and its impact on the
4 reliability. My name is Gaurav Karandikar. I'm a
5 director of reliability assessment.

6 THE REPORTER: I'm sorry. This is the court
7 reporter. Can you speak up just a little bit more?

8 MR. KARANDIKAR: Am I coming through better
9 now?

10 THE REPORTER: A little bit, yeah. There's a
11 table microphone in front of you or a little to your
12 left.

13 MR. KARANDIKAR: Oh, okay.

14 THE REPORTER: Yeah. Thank you.

15 MR. KARANDIKAR: All right. Thank you.

16 Once again, my name is Gaurav Karandikar. I'm
17 a director of reliability assessment and technical
18 services at SERC Reliability Corporation. SERC
19 Reliability Corporation is one of the six regional
20 entities work under the delegation agreement with NERC.
21 Our focus, our mission is to assure reduction of
22 efficient and effective reduction of the risk to the bulk
23 power system.

24 I'm happy to answer any, get any questions. We
25 do have certain documents that we put all forth for our

Transcript of Hearing
Conducted on December 16, 2024

17

1 entities to review. We have over 300 entities that we
2 oversee.

3 Load growth is an important topic, so important
4 that we actually included that in our latest risk report.
5 The report is posted on our website as well. It's not a
6 siloed topic because it gets influenced by -- SERC in
7 particular, it gets influenced a lot by weather as well
8 because the load is very much dependent on -- we have
9 seen peaks in winter, summer domes as well, which gives
10 rise to this unexpected peaks that come in. And those
11 peaks can be any time of the day. Winters, they're
12 usually in this morning hours, and then the summer,
13 they're usually the evening hour. So definitely have
14 something that we need to focus on.

15 Also, when we talk about load growth,
16 it -- we're looking from the lens of reliability. It's
17 impacted by what the resource are available on the
18 system. The equation that I always look at myself is
19 there is -- there's a load, there's generation, and there
20 is transmission. If you have enough generation to serve
21 the load where the load is then you've served that. If
22 you don't have that, you definitely need to have enough
23 transmission in order to bring in that generation to
24 the -- where the loads are.

25 The risk that we see today is that the load in

Transcript of Hearing
Conducted on December 16, 2024

18

1 particular can come onto the system onto the grid within
2 one to three years' time frame. Whereas, when you're
3 looking at the different types of generators, they can
4 vary between anywhere from two to eight years to bring
5 them on to the system, and transmission even takes much
6 longer than that. There is a disconnect between how
7 these loads are forecasted and what timeline they are
8 forecasted in to give the generation and the transmission
9 enough time to build this.

10 And if we look past those challenges, then
11 there are supply chain issues. So even if you have
12 everything in place, there needs to be a -- there needs
13 to be concerted effort as to how do we get the raw
14 material in order for us to build the things that we are
15 going to build, be it generation or transmission, in
16 order to support those load as well.

17 And that's about the resource side of things.
18 We also see that there are issues on the operational side
19 of bringing in such a large number of megawatts of loaded
20 in chunks of those loads. We've seen in the Virginia
21 state itself, where a fault actually took out a large
22 amount of load and transferred it elsewhere to get it off
23 the grid. It transferred on to a backup generation. It
24 was about 1,500 megawatts of load.

25 But as we grow, look into the future, that load

1 might be a bigger one, which might impact the stability
2 of the grid as well at some point. These loads are not
3 quite -- go through as rigorous process as the generators
4 do. So we don't really have the right load models in
5 order for us to study the impacts or the behavior, the
6 operating behavior, of these loads or how they're going
7 to impact. So that's a gap that we definitely want to
8 work towards and getting better at it.

9 There's not a process right now in place where
10 we do that. We look at it as any other load, but not as
11 rigorously we do a systems impact and feasibility study
12 than when we do a generator interconnections, for
13 example.

14 So those are some of the comments. I look
15 forward to answering some of the questions and having
16 discussion with my fellow panelists. Thank you.

17 COMMISSIONER HUDSON: Thank you.

18 MR. CHUPKA: Good morning. I'd like to thank
19 the commissioners for convening this conference. It's
20 very important and quite timely. My name is Mark Chupka.
21 I am presenting on behalf of Clean Virginia.

22 I'm going to address four items very quickly.
23 The first is the load growth forecasts and how certain is
24 that consensus view that seems to be emerging. Next I'll
25 use some numerical examples of the implications of these

Transcript of Hearing
Conducted on December 16, 2024

20

1 forecasts for generation and transmission investments,
2 the implications for meeting environmental targets, and
3 implications for Virginia customer rates.

4 Looking at load growth in Virginia, it's good
5 to start at the starting point, which is data centers
6 already use over 25 percent of the electricity consumed
7 in Virginia. That's according to the Electric Power
8 Research Institute. Using projected load from the
9 Dominion IRP as an example, we're talking about four
10 percent over the next cumulative annual, annual growth
11 rate between 2024 and 2039. Eight-seven percent of that
12 growth arises from the data center expansion in the load
13 forecast. And by 2039, just the incremental data center
14 load would constitute 30 percent of the forecasted peak
15 and 37 percent of energy consumption.

16 And, of course, that's not the whole story in
17 Virginia. Actually, the expectation is that 60 percent
18 of the expected data center load growth would occur
19 outside of utility service territories and the co-ops.

20 Other forecasts are actually closely clustered
21 to the Dominion forecast, the JLARC report, PJM, and
22 others. But consensus does not imply accuracy. Often
23 forecasts of this nature are clustered, not because
24 everyone is in agreement about how the future is going to
25 unfold but rather they're working from the same data or

1 very similar data using very similar methodologies.

2 There's a reasonable chance that some
3 transformative technology, like the Google Willow Chip
4 that was announced last week, could radically improve
5 energy efficiency. That is definitely a possibility.
6 Data centers might start to favor other locations. There
7 could be regional resource adequacy concerns that emerge
8 in PJM, for example, and market prices could stifle the
9 market for additional data center growth. Or, of course,
10 actual development might exceed forecasts. And that
11 depends in part on how data centers grow in other
12 regions.

13 When I look at long-term forecast, I tend to
14 think of that -- of this nature, probably fairly solid
15 for 4 to 7 years because some of that's already baked in,
16 but it's highly uncertain at the 10- to 15-year range.
17 And thus planning for generation and transmission
18 resource development for an uncertain longer term
19 forecast sort of is driving past the headlights of what
20 we can really understand to see.

21 As my co-panelist mentioned, the time from data
22 center project approval to online dates is shorter than
23 the utility planning cycle, which means that new
24 resources can get out of sync with new data loads. And
25 given the magnitude and the rapidity of data load, so

1 data center load growth, that could be a problem in the
2 fairly near term.

3 Just to give an example of financial impact.
4 Looking at Dominion's IRP and the IRP supplement,
5 Dominion expects data center load to increase 15-year
6 system costs by 23 billion in net present value. That's
7 a lot of money. And this arises from new solar, wind,
8 storage, nuclear, and natural gas resources that are
9 needed to meet the incremental load data.

10 The emissions implication of this, I'll focus
11 on the gas resources, show that just from data center
12 load growth, there would be expected an additional almost
13 three million metric tons of carbon dioxide. Now, what
14 does that mean? That's equivalent to the emissions from
15 roughly 650,000 cars using EPA data, which is about 22
16 percent of the registered cars in Virginia. This is not
17 just all motor vehicles. It's just looking at passenger
18 automobiles.

19 The gas that Dominion expects to add through
20 2039, which also includes, you know, their baseline level
21 of builds, would be the equivalent of -- it's about 7
22 million metric tons or the equivalent of 1.5 million cars
23 or half of the passenger car fleet that's currently in
24 Virginia. So these are emissions of some magnitude.

25 So even if Dominion would partially fuel these

Transcript of Hearing
Conducted on December 16, 2024

23

1 with -- these natural gas generating plants with clean
2 hydrogen, as they explored, it would still make it much
3 harder to attain the Virginia clean energy goals for 2045
4 2050 time frame.

5 Just turning quickly to cost allocation. Among
6 Bonbright's ratemaking principles, the principle of
7 equity gets the most attention, and that has two
8 components: non-discrimination and fairness.
9 Non-discrimination is trying to answer the question, does
10 the cost allocation or rate design treat customers with
11 similar attributes and circumstances with reasonable
12 similarity?

13 So the kind of questions here, are all data
14 centers mostly alike among the class of data centers and
15 unlike other loads? Would that require a specialized
16 rate? Or will a generic commercial rate apply to data
17 centers come up with an equitable and non-discriminatory
18 allocation of costs?

19 The second one is fairness. What is a fair
20 allocation of costs? And this usually means allocating
21 total costs incurred among rate payer classes, such as
22 residential, commercial, industrial, with minimal
23 cross-subsidy. But because rates represent a trade-off
24 between multiple goals, minor cost misallocations between
25 and within customer classes can arise.

1 So just an example, and this is not based on my
2 perceptions of rates, but it's just an example. So say
3 the cost allocation to data centers were two percent
4 below actual fair and incurred cost share. That is, data
5 center revenues could cover 98 percent of the costs that
6 they incur. However, the overall data center share of
7 costs will rapidly grow. Applied to the 23 billion
8 figure that I cited before for new -- the present value
9 of new costs, over time that would represent about \$460
10 million over time. If data center rates only recovered
11 95 percent of the costs, then that misallocation would
12 grow to \$1.15 billion over time.

13 Now, I'm not predicting such a misalignment or
14 one that would persist over time. I am aware of the
15 analysis in the JLARC report that showed that data
16 centers are covering their costs. And I have no reason
17 to question that finding. However, given the magnitude
18 and rapidity of data center load growth, I believe the
19 continued vigilance by this Commission will be needed to
20 keep rates in line with actual costs incurring.

21 We are no longer in a business-as-usual
22 circumstance. And so I think the -- this technical
23 conference is a really important step to help
24 understand -- to understand the source of this load
25 growth and to explore ways to ensure that Virginia

1 customers are held harmless, the residential customers in
2 particular, from the data center load growth and rate
3 payer effects. Thank you.

4 MR. TINJUM: Good morning, Your Honors. On
5 behalf of the Data Center Coalition, DCC, thank you for
6 convening this commissioner-led technical conference and
7 providing the opportunity to participate in this
8 important discussion. My name is Aaron Tinjum. I am
9 DCC's Director of Energy Policy and Regulatory Affairs.

10 DCC is the national membership organization for
11 the U.S. data center industry. We currently represent 33
12 leading data center owners and operators that maintain
13 data center infrastructure and employees across the
14 country. Our member companies are providing digital
15 infrastructure that enables the applications,
16 capabilities, and services that support the modern
17 economy, including cloud computing and artificial
18 intelligence. And the vast majority of our membership
19 companies have infrastructure teams and operations in the
20 Commonwealth of Virginia.

21 We're here today to talk about the
22 unprecedented growth of the industry and the significant
23 electricity consumption that comes with data center
24 development. From our members' perspective, there is
25 unprecedented demand for the digital services that have

Transcript of Hearing
Conducted on December 16, 2024

26

1 become central to our daily lives and modern economy.
2 Everything from the way we work and learn to how we buy
3 groceries, bank, and even access medical care now occurs
4 online. And Deloitte tells us that on average, U.S.
5 households now have 21 connected devices. With that
6 growth in number of devices generating and consuming
7 data, the role of data centers is expected to grow, and
8 consumers and businesses will generate twice as much data
9 in the next five years as they did in the past decade, so
10 twice the amount of data in half the time.

11 This growth is driven by the widespread
12 adoption of cloud services, the proliferation of
13 connected devices, and the rapid scaling of advanced
14 technologies like generative AI, which alone could create
15 between \$2.6 trillion and \$4.4 trillion in economic value
16 globally by 2030.

17 After nearly two decades of relatively flat
18 electricity consumption, the U.S. is experiencing a
19 significant increase in power demand driven by several
20 economic growth trends, including data centers. But in
21 other pockets of the country, certainly onshoring of new
22 manufacturing, widespread building vehicle
23 electrification, hydrogen fuel production are all
24 contributing to load growth. Supporting each of these
25 demand drivers and this growing demand generally through

1 timely and prudent investments in new generation,
2 transmission, and distribution infrastructure is
3 essential to the nation's and Virginia's economic growth,
4 as well as our global competitiveness and national
5 security.

6 As the world's leading data center market,
7 Virginia is uniquely positioned to create a model that
8 advances the clean energy transition, supports continued
9 economic development, and importantly, protects customers
10 from any unnecessary costs. DCC and its member companies
11 fully recognize there are significant challenges
12 associated with load growth, and we are committed to
13 working collaboratively with the Commission, utilities,
14 and other key stakeholders to develop solutions that
15 advance a cleaner, affordable, reliable, and resilient
16 electricity grid for all Virginians.

17 Just to touch briefly on a few of the points I
18 outlined in my written opening remarks, we should not
19 lose sight of the fact of the industry is a key driver of
20 economic growth within Virginia. Data centers create
21 employment opportunities for Virginians not only at data
22 centers, but they're also catalysts for broader economic
23 growth, supporting ecosystems of suppliers, of service
24 providers, of construction workers, and enhancing the
25 industry's impact on local and national economies.

1 One data point related to this is the
2 industry's total annual impact in Virginia increased by
3 19 percent between 2017 and 2021 to 86,290 jobs. It
4 generates significant local and state tax revenue, and
5 the total industry impact on GDP in Virginia grew from
6 8.9 billion in 2017 to 13.5 billion in 2021, which was a
7 52 percent increase over a four-year period. So while
8 the industry's electricity consumption certainly has
9 grown and will continue to grow, the industry's economic
10 benefits for the commonwealth have also grown.

11 Another point I'd like to emphasize here today
12 is that while we certainly focus, rightfully so, on the
13 industry's growth and electricity's consumption, what's
14 often lost in the discussion is that these are highly
15 efficient facilities, that they enable efficiency gains
16 economy-wide, and that the companies building these
17 facilities have been helping drive grid decarbonization
18 in the clean energy transition. When we think back to
19 how we've got into the day with these larger data center
20 facilities, it really came out of a need for greater
21 efficiency and security of our computing. By
22 centralizing computing resources, data centers have been
23 able to leverage innovations in design, in equipment, and
24 technology to maximize energy efficiency.

25 Lawrence Berkeley National Lab found that while

1 electricity consumption at data centers rose 6 percent
2 from 2010 to 2018, our computing output at data centers
3 jumped 550 percent during that same time frame, marking
4 some very significant gains in efficiency and
5 productivity. Moreover, our member companies and data
6 centers as an industry are committed and naturally
7 incentivized to keep pursuing efficiency as energy marks
8 the largest annual operating item in many of their
9 budgets.

10 Beyond efficiency, our members are enabling
11 efficiencies economy-wide many of the technologies and
12 strategies deployed across Virginia and the country. We
13 think about smart thermostats, demand response enabled by
14 smart thermostats, smart meters, managed electric vehicle
15 charging, smart lighting, and increasingly grid-enhancing
16 technologies. Those innovations that will help us
17 optimize and maximize our grid capacity will also require
18 the digital infrastructure provided by data centers. So
19 we cannot simply just view them as large consumers of
20 electricity if they are also facilitating the efficiency
21 gains and energy savings for homes, businesses,
22 industrial consumers, and even utilities.

23 Beyond efficiency, leading data center owners
24 and operators are driving advances in clean energy and
25 are now driving half of all contracted corporate

1 renewable energy in the U.S.

2 Some of the issues outlined in the Commission's
3 notice include load forecasting. DCC believes that is
4 extremely important at this moment of a load growth to
5 ensure greater communication, collaboration, and
6 transparency, especially with load forecasting among
7 utilities, regulators, customers, and other stakeholders.
8 Enhanced transparency and forecasting, interconnection
9 processes, and scenario planning can help ensure that
10 we're not only developing the right infrastructure, but
11 that we're also protecting customers from any
12 inefficiencies and unnecessary costs in the process.

13 We are supportive of opportunities to reduce
14 costs, maximize capacity in right-size investments
15 through grid-enhancing technologies such as dynamic line
16 ratings, advanced reconductoring, and other
17 capacity-enhancing solutions. We're also supportive of
18 exploring the development of well-structured voluntary
19 demand response programs that properly allocate risk,
20 incentivize reward participation, and allow customers to
21 meet their sustainability commitments.

22 I do want to emphasize today that DCC-member
23 companies are committed to paying their full share of
24 generation distribution and transmission costs. I think
25 it's also important to dig into what data centers

Transcript of Hearing
Conducted on December 16, 2024

31

1 routinely pay for today, including infrastructure
2 directly associated with serving data centers, including
3 breakers, transformers, entire transfer substations, and
4 supporting infrastructure. With Dominion Energy, data
5 centers also pay certain pre-connection costs, connection
6 costs, and additional facility costs to provide
7 appropriate assurances to the utility and help protect
8 other customers from the risk of stranded infrastructure.

9 Furthermore, there has been much discussion
10 over whether current cost allocation practices are
11 sufficient, and it indeed is part of the reason we're
12 here today. Dominion has also reported that since 2020,
13 residential customers' share of transmission costs have
14 declined by 10 percent, while data centers and other
15 customers' allocation have increased by 10 percent. And
16 the data centers in the Virginia report released last
17 week, the Joint Legislative Audit and Review Commission,
18 JLARC, found that Virginia's current rate structures
19 appropriately allocate across customers.

20 As the report states, JLARC staff commissioned
21 an independent study of electric utility cost recoveries
22 under current rate structures to see if the data center
23 industry is paying its share of current costs. The study
24 found that current rates appropriately allocate costs to
25 the customers responsible for incurring them, including

1 data center customers. And while the report emphasizes a
2 need to continue reviewing current practices and consider
3 alternative approaches as system growth continues, which
4 is part of our focus here today, it should not be lost
5 that existing cost allocation and rate review practices
6 have worked to date.

7 But looking forward, it is critical to ensure
8 that rates are fair and equitable for all customers. It
9 is DCC's belief that is best achieved through the
10 application of and adherence to the sound ratemaking
11 principles that have served Virginia and other
12 jurisdictions well in both periods of load growth and
13 flat electricity demand. As my fellow panelist
14 mentioned, the Bonbright Principles of which include
15 non-discrimination. No customer, industry, or class
16 should be singled out for differential rate treatment
17 unless such distinctions are backed by verifiable
18 cost-based reasoning.

19 Cost causation. Customer rates should reflect
20 the actual cost of service. The ratemaking process
21 should ensure that incremental costs are fairly
22 attributed to the loads or customers they impact.
23 Limiting cross-subsidization rates should avoid creating
24 unfair subsidies between customer groups and loads. And
25 importantly, transparency. The ratemaking process should

Transcript of Hearing
Conducted on December 16, 2024

33

1 be open and accessible, providing customers with the
2 necessary information and a clear understanding of how
3 rates are determined.

4 We believe the Commission should continue to
5 routinely examine cost allocations and the corresponding
6 rate designs at this moment of load growth to ensure
7 they're fair and reasonable and justice is done in
8 biannual review proceedings and Rider T1 proceedings. We
9 do believe any determinations related to tariff
10 structures or cost allocation or deep analysis of those
11 are best suited for those proceedings where costs and
12 allocation of such costs can be thoroughly reviewed by
13 the Commission and other stakeholders. And for our part,
14 DCC is committed to engaging in the proceedings to be as
15 helpful on behalf of the data center industry as we can.

16 But we again thank the Commission for convening
17 this important discussion. Look forward to the
18 discussion today. And of course, continued collaboration
19 with the Commission, utilities, and other stakeholders to
20 ensure that growing demand for digital services is met
21 with innovative, reliable, and sustainable energy
22 solutions in Virginia. Thank you.

23 COMMISSIONER BAGOT: Thank you.

24 Mr. Blackwell?

25 MR. BLACKWELL: Good morning. Thank you for

1 hosting this technical conference and allowing me to have
2 the opportunity to speak. My name is Stan Blackwell, and
3 I'm the director of Dominion Energy's data center
4 practice.

5 And so I'll make five brief points, first about
6 our data center forecast. It's a very robust process
7 that uses over 10 years of monthly metered customer data.
8 So every data center on our system, we have the
9 information, from the point they've been connected out to
10 today, to help model the behavior. And that's the
11 foundation of our forecast and we believe lends to a very
12 high level of accuracy. We start with statistics, use
13 customer-provided information and market information to
14 then make a decision, is this customer's behavior, the
15 way they've behaved in the past, going to continue into
16 the future? And that's how we go about building our
17 forecast. And we can certainly talk in more details
18 about it.

19 One of the questions you often hear about
20 forecasting is, Well, is this a type of technology that's
21 just going to go away and soon? So, you know, you're
22 going to build a bunch of material. And I would point
23 you to the simple television set. It's been around since
24 the '50s. Cathode ray tubes. Now go into a big-box
25 store and you can't spell half the technology on a TV.

1 It's still here.

2 And what you find in forecasting data centers
3 is you have a technology that gets hot and it matures.
4 5G came in, Internet of Things. The most recent
5 one -- well, and then during COVID, we had -- everybody
6 went to virtual streaming. So you kind of maxed out
7 that. And now we have AI. These technologies continue
8 to drive this industry. Perhaps virtual reality is the
9 next driver, perhaps self-driving vehicles. You don't
10 know as technology develops. All we know is it will
11 continue to develop and the data center is the engine, I
12 guess, that's hosting these particular technologies. So
13 we believe the growth will continue out into the future.

14 We don't actually use customer contracts to
15 develop our forecast. We use customer contracts to
16 validate it. And we have signed firm contracts. That's
17 either a electric service agreement, which means we have
18 a meter set, or a construction contract that says, I'm
19 going to build you infrastructure. And we have signed
20 contracts, those firm contracts that support our forecast
21 out through 2040.

22 And that's as in of -- what we have in hand
23 today. And so what I would tell you is we have a good
24 forecast, a great forecast process. I think the
25 judge -- or commissioner earlier talked about it. We can

1 add more about how -- a little more detail how we go
2 about doing the forecast.

3 My second point is that there are two things
4 when you're planning for big infrastructure:
5 transmission planning and generation planning. Our
6 forecast, the way PJM does it, is they ask all of the
7 utilities in the Dom zone -- the co-ops, us -- they ask
8 us to submit block load adjustments. So we prepare a
9 data center forecast. They ask for a 20-year forecast.
10 So we prepare a 20-year forecast, provide it to PJM to
11 inform their forecast. They roll it through their
12 process and machines. And they return to us a Dom zone
13 forecast. That is the transmission zone that Dominion
14 Energy owns and operates.

15 So that becomes the foundation, then, of the
16 transmission plan. When we get that official Dom zone
17 forecast, we extract out Dominion Energy's retail
18 portion, and that becomes the foundation of the
19 integrated resource plan. My point is, those two
20 processes are in sync, and they use the same forecast for
21 all loads, including data centers.

22 Third point I'd like to make is that with the
23 advent of data centers and load growth from a lot of
24 sectors, you need an all-in approach to generation. With
25 the unprecedented demand growth, inclusive of data

1 centers, we have to balance and harmonize the
2 requirements of the Virginia Clean Economy Act and the
3 paramount need for reliability and affordability for all
4 customers.

5 The trick to that balance is data centers have
6 very steady 24/7 load growth. They run consistently all
7 the time. Renewable resources in the Virginia Clean
8 Economy Act are intermittent. They come and go,
9 depending on the weather. And so you need a balance.
10 They both have -- renewables have a place in the
11 generation stack. They're one part of the solution. We
12 need an all-of-the-above approach to help meet this
13 growing load growth.

14 The fourth point I'll make is this -- some of
15 the opening statements were about tariffs and how you
16 assign costs. But as a utility, when you're building
17 large infrastructure that we are for these, whether it's
18 a data center or a large industrial plant, it's a
19 four- to seven-year process to build this and bring it
20 online because you're building transmission, you're
21 building substations and putting a lot of big equipment
22 in there.

23 And so what we do is we have a four-step
24 process that we use for contracting purposes to weed out
25 speculative projects. And it requires substantial

1 deposits and commitments on behalf of the customer before
2 we'll ever start building something. And that's how
3 you -- one way you eliminate speculative projects. When
4 you sign and you make a commitment, we'll build the
5 infrastructure required to serve you, and it has
6 requirements in there.

7 And so I will say again of this process, and we
8 can talk -- this four-step process for contracting, from
9 July of '23 to July of '24, we signed over 6,000
10 megawatts of firm contracts in one year, again to support
11 the forecast that we're putting out. The customers are
12 signing those contracts.

13 The last point I will make is two things about
14 JLARC. JLARC, there's always a question about somebody
15 independently forecasting data center business. If you
16 look at maybe page 26 of the JLARC report, if I remember
17 correctly, they essentially forecast the same forecast
18 that Dominion was forecasting. It's not exact, would
19 never expect it, but it's an independent validation of
20 the forecast that we prepare.

21 And then finally, I believe JLARC also
22 identified the need for an all-in generation approach.
23 So I look forward to answering questions. Thank you.

24 COMMISSIONER BAGOT: Thank you.

25 MR. HEWA: Good morning, Commissioners. I'm

Transcript of Hearing
Conducted on December 16, 2024

39

1 John Hewa, the president and CEO of Rappahannock Electric
2 Cooperative and the CEO of our affiliate, Hyperscale
3 Energy Services. Let me first say I just greatly
4 appreciate the Commission and its staff taking the time
5 and the opportunity to bring these technical proceedings
6 together. And I'm looking forward to hearing from the
7 other panelists throughout the day. Thank you for
8 bringing this focus to this topic and now.

9 My comments will be around the rural electric
10 cooperative perspective and more of the retail
11 distribution perspective. A scenario that I hope you
12 will recall and remember and take away from my comments
13 today: Under conditions, market conditions, like we
14 experienced in Winter Storm Elliot, REC's wholesale
15 market settlements for its planned data centers in two
16 weeks or less could exceed the rest of the cooperative's
17 annual power bill. And I want to just put an exclamation
18 point behind the scale.

19 Serving large data centers represents one of
20 the most significant opportunities and challenges here
21 clearly within the commonwealth. Today I hope to convey
22 a few things from the cooperative perspective. First,
23 the cooperative can-do attitude and size up this
24 opportunity and challenge. Second, explain Rappahannock
25 Electric as an example of one co-op's story. Third,

1 discuss some problem areas around cost, scale,
2 volatility. And then conclude finally with some business
3 protections and the concepts around REC's affiliate
4 model.

5 As you may know, Virginia has 13 highly
6 collaborative electric distribution cooperatives. Each,
7 however, has its -- very much his own uniqueness and
8 brings forward its own unique business challenges. As
9 member-owned non-profit utilities, electric co-ops
10 certainly occupy and feel a very unique place in
11 Virginia's energy landscape

12 Our goal is and remains to provide safe,
13 reliable, affordable, and sustainable power to our
14 membership. We've done this successfully for decades,
15 and now we are working to extend this same quality
16 service to our emerging data center members. REC is a
17 22-county electric distribution cooperative serving just
18 over 180,000 accounts. And in the context of today's
19 discussion, we're focused on protecting not only in
20 getting the needs for our new data centers but protecting
21 the traditional and the native members, if you will, from
22 the financial risk associated with effectively serving
23 these large loads and ensuring also that the data centers
24 don't cause any type of operating or financial harm to
25 each other with respect to their power bill.

1 Large-use customers such as data centers have
2 emerged as a major economic driving force in the
3 commonwealth, and their presence is increasingly
4 concentrated in rural cooperative territory, as was
5 previously noted. Access to land and the transmission
6 corridors is attainable, and that is part of that driving
7 force.

8 These customers and our future members offer
9 significant economic benefits including job creation,
10 infrastructure investment, increased tax revenues that
11 can transform, in a very beneficial way, local economies
12 and foster economic growth. These projects are extremely
13 and vitally important to our counties. And I would
14 consider them to be landmark projects at a landmark
15 moment. And I want the commissioners to understand how
16 enthusiastic and confident I am in the electric
17 cooperative ability to successfully serve these
18 large-scale data centers.

19 So after 85 years of history of REC's
20 operations, our all-time peak demand occurred during the
21 cold morning of Winter Storm Elliot in December 2022 at a
22 system peak of just over 1,135 megawatts. This
23 achievement was reliably supported through the energy
24 services of Old Dominion Electric Co-op, ODEC, and
25 transmission owners and operators such as Dominion Energy

1 as well.

2 Today, REC's local distribution grid has over
3 18,000 miles of infrastructure and only a few instances
4 of what I would consider to be direct-serve facilities.
5 I'll focus a bit more on that in a moment.

6 So our general membership is served through
7 multiuse infrastructure traversing through our counties
8 and towns and rural areas. Our co-op is expected to add
9 some 4,000 new residential and commercial accounts alone
10 next year. However, alongside this traditional growth,
11 in the last 24 months, we've engaged with a wave of new
12 data center members and emerging direct-serve projects
13 with an inbound load ramp projection that climbs in
14 excess of 16,700 megawatts by the year 2040.

15 Commissioners, what I'm characterizing here is
16 that a once quieter and still rural electric cooperative
17 has an inbound load ramp that exceeds the summer peak of
18 the New York City Power Control Zone, actually
19 substantially. In REC's case, much of this load ramp is
20 scheduled to mature quickly within the next five years.
21 And the limiting factors there, at this moment, tend to
22 be supply chain on delivery of transformers and 230 kV
23 breakers, 230,000-volt breakers, as well as just
24 construction timelines. But we are designing and
25 building to the requested spec of the data center member

1 with respect to the load ramp they have requested.

2 REC is and will serve each of these data
3 centers with direct-serve facilities paid for by the data
4 centers. We work closely with transmission owners such
5 as Dominion Energy, and we very much appreciate that
6 partnership in bringing transmission service to each
7 project or campus. These large customers and co-op
8 territories are not only choosing rural Virginia to
9 support their global operations, but they're becoming
10 much larger in scale and their energy requirements.

11 Prior to this wave, I would characterize our
12 largest member customer under 50 megawatts. For example,
13 to date, REC already has 26 large-scale power
14 transformers on order, which represent nearly 3,900
15 megawatts of future connected infrastructure. Each
16 project, again, the data centers are pre-paying for the
17 design, the infrastructure, and the construction.

18 REC's emerging data center members range from a
19 minimum of approximately 150 megawatts at maturity and
20 build out to multi thousand megawatt at build out. They
21 truly are -- these truly are hyperscale projects, hence
22 the need for Hyperscale Energy Services, our affiliate
23 which I'll discuss a moment later.

24 Virginia has enjoyed and continues to enjoy the
25 benefit of being in the PJM structured market. This

Transcript of Hearing
Conducted on December 16, 2024

44

1 robust market has been overall predictable, reliable, and
2 affordable, I believe a large part of what continues to
3 attract data centers to Virginia. Now, thinking of
4 co-ops, as we add these large multi thousand megawatt
5 loads, it is important to put scale in context. And REC
6 is a large co-op by virtually every measure.

7 However, as the loads of these large members
8 increases, so does the need to cover all financial
9 scenarios completely or absolutely. In our business,
10 when a residential or commercial account fails to pay
11 their electric consumption, all of the other co-op
12 members share that obligation. We work to hold this to a
13 minimum, but it is a reality of being a utility provider.

14 In 2023, the PJM market monitor reported the
15 average cost of power in PJM was around \$53.42 per
16 megawatt hour. Incidentally, the year prior, it was
17 nearly double. So a thousand-megawatt data center in
18 this normal \$53-megawatt-hour market might represent a
19 weekly settlement of over \$6.5 million. That's weekly.

20 If only half of the 16,000-megawatt load ramp
21 that I've characterized and provided in my pre-filed
22 comments, if only half of that builds, we could see that
23 clear in a normal market at 50, 5-0, 50 million in a
24 typical or normal market per week. This is introducing
25 a -- clearly introducing a new scale. These risks must

1 be managed carefully to avoid unintended financial
2 burdens on co-op member consumers and the cooperatives
3 themselves. Without safeguards, the potential for cost
4 shifts from large customers to existing cooperative
5 members could undermine the financial stability of
6 cooperatives and quickly erode member trust.

7 Now, what I've described to this point is
8 a -- our typical scenarios in a typical market and not
9 necessarily reflective of the concerns that PJM has
10 already reported about the potential for declining
11 reserves. Market volatility, I believe, will continue to
12 be -- is and will continue to be a part of the market
13 that we operate in. And this potential for volatility
14 introduces a more acute situation.

15 For instance, the average price of a wholesale
16 electricity for the week in our area of Winter Storm
17 Elliot was approximately four times higher than a normal
18 market. So that weekly settlement now for a
19 thousand-megawatt data center climbs to 26 to 28 million.
20 And again, if just half of the REC existing portfolio
21 we're working on builds out, it could exceed \$200 million
22 in a week. REC's annual budget for the other 180,000
23 accounts that it serves, put together, is \$350 million
24 per year. Per year.

25 So again, under stressed market conditions,

Transcript of Hearing
Conducted on December 16, 2024

46

1 weekly or multi weekly settlements could begin to rival
2 the co-op's annual power bill. So rather than running
3 through countless other examples, I believe it's
4 appropriate at this point to say that there are scenarios
5 that are difficult or maybe impossible to predict, and
6 that the continuity of the utility's ability to operate
7 its business could hang in the balance of one or several
8 large-scale members paying or not paying their power
9 bill. The scenario of a data center bankruptcy, for
10 example, could represent a long, protracted exposure for
11 an electric cooperative well into the tens of millions of
12 dollars. A billing dispute or the implications of some
13 type of prohibiting emergency order could also create
14 similar circumstances with large, open-ended calculations
15 around doubtful receivables.

16 I simply do not think it is right for the other
17 members, such as residential, to have to backstop the
18 scenario for a Virginia-based data center operating with
19 global reach. These large-use members must provide the
20 financial liquidity not only for their own grid
21 infrastructure and operations but also for backing their
22 presence in the wholesale market and the wholesale market
23 purchases that go with that.

24 Now, moving just a bit more into some business
25 protections. It is very important that utilities retain

Transcript of Hearing
Conducted on December 16, 2024

47

1 the right to serve large-use customers with Market-Based
2 Rates, or MBRs. MBRs allow utilities to price
3 electricity competitively based on market conditions,
4 ensuring that large-use customers contribute equitably to
5 the cost of their service. And when done correctly, this
6 approach protects other member consumers from subsidizing
7 the significant energy demands of these facilities. This
8 approach also ensures that the costs associated with
9 serving these customers, such as energy capacity and
10 transmission, are fairly allocated and do not impact
11 traditional cooperative members. This principle is
12 crucial to protecting the cooperative model and ensuring
13 equitable treatment for all members.

14 So to this point, I've characterized a few
15 areas of the problem and certain solutions. First, the
16 magnitude of the data center energy needs in comparison
17 to even a large co-op. Second, the potential for a
18 non-payment scenario for any reason to greatly
19 impact -- potentially greatly impact the other
20 cooperative members, including other data centers. And
21 third, some of the protections needed to ensure business
22 continuity for electric cooperatives, even through times
23 of potential market volatility.

24 I'd like to spend just a few final moments here
25 discussing REC's affiliate model solutions and concepts.

Transcript of Hearing
Conducted on December 16, 2024

48

1 Hyperscale Energy Services is a wholly owned affiliate of
2 REC, created to provide market power, billing, and credit
3 monitoring services for large-scale data centers in our
4 territory. Because reliable and affordable electricity
5 is essential to meeting the needs of all co-op members
6 and this unprecedented size for data centers poses some
7 new risks for liquidity and cost recovery, REC is
8 pursuing a thoughtful business structure through the use
9 of our affiliate, Hyperscale Energy.

10 The introduction of an affiliate, and in our
11 case, a series of affiliates, is to allow for clearer
12 separation of the energy revenues, the payment, and
13 especially credit responsibilities to maintain operations
14 in the market and to do this on a one-to-one basis with
15 these large loads. REC now plans to employ Hyperscale
16 and its sub affiliates, Hyperscale 1, 2, 3, et cetera, in
17 a wholesale model to serve as off takers of PJM Power
18 that is then passed through the co-op and to the
19 individual data centers. This model, in fact, aligns
20 cost fairly and partially protects REC's members from any
21 potential egregious non-payment.

22 Together REC and Hyperscale as our affiliate
23 are confident, as are other co-ops, we can get the job
24 done and get it done with the right business model and
25 prudent financial protections.

1 Commissioners, as I reach the close of my
2 comments, I want to thank you again for this opportunity
3 to be before the Commission and characterize both the
4 opportunity and challenge ahead of us. I am extremely
5 grateful and appreciative of the Commission's attention
6 in this area. Cooperatives stand ready to do our part
7 and to meet the goals of our counties and the
8 commonwealth. I reiterate how enthusiastic and confident
9 we are in our ability to serve these data centers. And
10 this zeal and can-do attitude is shared by all of the
11 fellow co-ops in Virginia.

12 I applaud the Commission and its aim to help us
13 get this job done, to protect our member consumers, and
14 to keep Virginia on top for business as a world leader in
15 supporting data centers with global reach. Thank you.

16 COMMISSIONER BAGOT: Thank you. Thank you all
17 for your opening remarks. I'm going to pass it back to
18 Chair Hudson. And unless you all have a much better
19 memory than I do, I'm going to ask him to repeat his
20 initial question for you all.

21 COMMISSIONER HUDSON: Thank you, everyone. And
22 thank you for your presentations. They were really
23 helpful and extremely informative.

24 Mark, one of the things that really resonated
25 for me in your opening remarks was talking about data

1 centers and how they can move to other locations. And
2 I'm assuming that they move -- or they may relocate
3 because of great reliability, pricing, or other economic
4 conditions that may be unfavorable.

5 And so what I'd like to ask the panel to kind
6 of circle back to my original question about uncertainty,
7 how do we deal with the speculative nature of load
8 customer requests and system planning? And I know that
9 Aaron and Stan kind of talked a little bit more about
10 that, but I'd like to hear from others on how to deal
11 with the speculative nature of that.

12 MR. CHUPKA: Yeah, I'd like to just quickly
13 respond. I didn't mean to leave the impression that data
14 center loads themselves could move once built there.
15 They're not terribly portable. But conditions in Texas,
16 for example, in ERCOT, might be at some period of time
17 more favorable, just from a wholesale market perspective,
18 than PJM. And that will impact, you know, how many data
19 centers locate in the PJM region.

20 And I'm not saying that you have to forecast
21 all of the regions and allocate data centers among
22 various candidate locations. But these are markets that
23 are very broad. And so what Virginia -- and the past may
24 not be prologue in terms of what Virginia has experienced
25 as being the preeminent market location. Certainly, that

1 looks to continue in the near term. I think that's
2 pretty reasonable.

3 But in the longer-term data center, you know,
4 those who own and operate data centers may find other
5 markets more attractive than Virginia or than PJM. So I
6 just wanted to clarify that.

7 COMMISSIONER HUDSON: Of course. Thank you.
8 John? Yes.

9 MR. HEWA: Yes. Thank you, Commissioners. I
10 would just, you know, reiterate: Virginia has been the
11 top state -- the CNBC top state for business in three of
12 the last five years. And a great deal of that is
13 attributed to the tremendous investment of the data
14 centers. There are many other investments occurring in
15 the commonwealth, but this is clearly a very, very strong
16 driving force.

17 And from a energy pricing perspective, I do
18 believe it is a serious issue. We need to make sure that
19 Virginia, within PJM, can remain very competitive,
20 especially relative to its other top competitor states,
21 which may or may not have similar requirements. Thank
22 you.

23 COMMISSIONER HUDSON: Thank you.

24 MR. BLACKWELL: So the question becomes, is it
25 speculative or is it duplicative, meaning you're

1 developing a project in Virginia or a project in Texas,
2 and you're going to pick one. So we get that question.
3 Or are there multiple companies inside Virginia competing
4 for the same business? And so you handle those problems
5 a little bit differently.

6 Let's say we have 20 data centers competing for
7 one big cloud contract. What typically happens is a
8 utility will get 20 very large requests, say they're 300
9 megawatts a piece. So I've got 6,000 megawatts of
10 request for one cloud contract. That's a 300-megawatt
11 contract.

12 The way we handle that at Dominion Energy
13 Virginia is we again have 10 years a meter data. We
14 forecast our seven largest or fastest growing companies.
15 As in any industry, you have a very small number of very
16 large players. We certainly have that in our service
17 territory. So we forecast those seven customers
18 discreetly. We know how they behave. We know how
19 they've been behaving for the last 10 years, and we look
20 internally, do we still have projects being developed?
21 Is there bad press in the news financially about them?

22 And we look at that to inform our decision.
23 This is how they behaved in the past. They're going to
24 behave this way in the future or not. The way you
25 eliminate, back to my example, of 20 firms competing for

1 one contract is, we have at any one time 50 discrete data
2 center companies in our service territory. So we model 7
3 discreetly, and the other 43 we model them together.
4 We're not trying to pick which company's going to be the
5 winner of that contract, in my example. We know one is
6 going to win. What we're doing is forecasting how that
7 load is going to show up on the system.

8 And that's how you eliminate duplicative
9 projects because you're not forecasting all 43 are going
10 to win. You're saying one's going to win and how is that
11 load going to grow? So that's how we, from a forecasting
12 standpoint, eliminate duplicative -- we at any one time
13 have 40 to 50 gigawatts' worth of capacity request. But
14 we know that's not what our forecast is going to be
15 because they're all competing for business.

16 How you eliminate speculative projects goes
17 back down to contracting. Everybody wants their project
18 to go until you say, sign this contract. We start with
19 an electric -- a engineering study, requires a \$250,000
20 deposit. If you want us to do a six- to nine-month study
21 on your project, write a check, and if your project
22 doesn't go through, we'll net the time charging we spent
23 against that and refund the balance.

24 So that slowly eliminates the really
25 speculative projects. Why do I want to spend \$250,000?

Transcript of Hearing
Conducted on December 16, 2024

54

1 So we do engineering studies. We render you six to nine
2 months later, here's what I'm going to build 230,000kV
3 transmission lines. A substation, just say the cost of
4 that's \$100 million. Just say that's the number. Sign
5 this contract. It commits you to reimburse
6 the -- Dominion Energy of Virginia if you cancel the
7 project. So if we put \$50 million in the ground, we've
8 not connected a meter yet and you back out, you're
9 responsible to reimburse us for any money spent.

10 And to date we've not had anybody cancel a
11 construction contract, to date. That contract requires
12 deposits. The biggest, most expensive piece of equipment
13 in a data center, connector transformers, they can be
14 just say \$3 million a piece. You're typically putting in
15 four to five transformers depending on the size of the
16 facility.

17 And so we require very similar -- what I heard
18 John say, we're saying, I have to remit to the supplier
19 of transformers a third of that cost of that transformer
20 three years in a row. So I require that of the customer.
21 You're responsible to give us a deposit. We'll hold it
22 as your projects in flight. And prior to
23 energization -- or after energization, we'll refund that
24 deposit money. And the point of this is, that customer
25 has skin in the game while you're building

1 infrastructure.

2 The last thing in that construction contract is
3 it requires you to set a meter. And once you set a
4 meter, that's the regulations on your terms and
5 conditions, how you render service, the tariffs, and all
6 of that. And so we eliminate speculative projects that
7 way. Contractually, the folks that are serious will
8 proceed on. And that's the way we do it. I believe a
9 lot of our co-op partners do the same.

10 So I hit two points: you have to eliminate
11 duplicative projects -- they're developing here, there,
12 everywhere -- and speculative projects. And that's how
13 we go about it within Dominion Energy.

14 COMMISSIONER HUDSON: Thank you.

15 Yes, John?

16 MR. HEWA: Yes. Thank you. I can just -- from
17 the distribution cooperative perspective, very similar to
18 what Mr. Blackwell's saying. We start with a letter of
19 application, and that involves an application fee, which
20 is approximately \$168,000 for every 300 MVA. And we use
21 300 MVA as a -- of kind of a compatibility with Dominion.
22 And that's -- our typical substation is a 300 megawatt or
23 a 300 MVA station.

24 And as Mr. Blackwell explained, after that
25 occurs, we tend to work with the transmission owner,

1 which is in many cases Dominion Energy, on that
2 transmission engineering study. But at that moment, the
3 customer or our future member has already invested more
4 than a couple of \$100,000 potentially and especially for
5 larger scale projects.

6 The real, very large kind of kickoff or onset
7 of the actual commitment, the true commitment for us is
8 in something we call a CDA or a Construction Development
9 Agreement. And that basically breaks the project into
10 kind of sections of payment. And once those CDAs, the
11 construction development agreements, are executed, we
12 tend to see substantial dollars transacted in the nature
13 of tens of millions of dollars to begin to go out and
14 order those early lead-time equipment, which
15 incidentally, we've seen transformers at 150 weeks or
16 more. We've seen those 230,000-volt circuit breakers out
17 at 180 or -90 weeks in some cases. So those are very,
18 very long lead times.

19 And going back into what Mr. Blackwell kind of
20 explained, some of it, if it's a speculative site, maybe
21 them -- maybe the customer positioning themselves for
22 what they can do three or four years out. The other two
23 things I would just add to this is that our projects
24 are -- generally, what we tend to see are that a campus
25 is phased with a phase one, phase two, phase three

Transcript of Hearing
Conducted on December 16, 2024

57

1 approach, which helps moderate some of the near-term
2 commitments versus long-term scale.

3 And then lastly, even though we may have a
4 signed construction development agreement, one of the
5 things that we have to work through is to secure the
6 transmission build, in this case that Dominion might be
7 extending transmission facilities. It's very important
8 for us to work with that member who is causing that build
9 for us to secure that so that the project does in fact
10 get in service and meets Dominion's requirements. Thank
11 you.

12 COMMISSIONER HUDSON: That's an excellent
13 point, John, and about construction and transmission
14 build. And one thing I did not hear from the panel and I
15 like to hear from anyone if they have a response is the
16 issue of possibly overbuilding or under building.

17 Are there any concerns about that? And if so,
18 what are some mechanisms that are -- that we should put
19 in place to avoid that?

20 MR. TINJUM: Yeah, that's another great
21 question. And I would just start by stating, you know,
22 DCC is engaging nationally with utilities and commissions
23 across the country. And we often get some form of the
24 question of, is the growth real? Is it speculative?

25 What we often point to are the tailwinds and

1 fundamentals behind the industry. So I mentioned in my
2 opening remarks that on average, households now have 21
3 connected devices. Average household broadband
4 consumption has doubled between 2018 to 2023. In terms
5 of construction spending, for the first time, the U.S.
6 Census Bureau has started breaking out data center
7 construction spending, Put In Place spending as a
8 subcategory.

9 Around May of 2022, that was around \$11 billion
10 nationally. May of this year, it was around \$27 billion.
11 Year over year, that was a 69 percent increase. And so
12 when we talk about, is the load real, you know, is there
13 money behind it, the construction spending is one such
14 metric that really gets at that the load is generally
15 manifesting.

16 I also mentioned in my opening remarks the need
17 for greater communication, collaboration, and
18 transparency at this moment of load growth and recognize
19 that can sound like shallow platitudes until you really
20 apply them to certain practices. I think forecasting is
21 certainly one of those, and it's one of those areas that
22 DCC as a membership, our individual member companies are
23 looking for opportunities of how we can be helpful in
24 that regard. What type of information would be helpful
25 to the utility, to commissioners, to other stakeholders

1 in understanding whether specific load requests are real.

2 From our vantage, it would be helpful to really
3 understand holistically what the utility is seeing in
4 terms of load requests, and Mr. Blackwell has helped
5 really kind of highlight how Dominion handles this, what
6 they take for assurances, what gets baked into the load
7 forecast, and what still has additional hurdles to clear.

8 But we're looking for that communication, is
9 there an opportunity for a feedback loop for the data
10 center industry to provide perspective? Are there
11 opportunities for collaboration? And is there just ways
12 to ensure greater transparency that of course, you know,
13 protects individual customers and competitive projects
14 but still gets assurances to the utility, to the
15 Commission, and other stakeholders that are needed at
16 this important moment.

17 COMMISSIONER BAGOT: Thank you. So I had a
18 follow-up question related to the discussion on
19 forecasting and the processes you all use to sort of
20 address the two different types of potential issues,
21 which was the duplicative load and then the speculative
22 load. So I want to focus on the speculative load a
23 little bit. And I appreciate the explanation of the
24 process you use and a way to sort of get, you know,
25 companies to have some skin in the game, which may

1 address some of the speculative concerns.

2 I can't help but think of our current
3 interconnection queue process and the issues that we're
4 seeing there, where we have a lot of projects in the
5 queue, we have a process for studying and evaluating
6 these projects. There's always a question of whether the
7 project is real or speculative. And so the solutions
8 that have been crafted to resolve this are sort of a
9 similar process where you submit an application, and as
10 you go through the study process, additional payments or
11 forms of security or other demonstrations of realness are
12 being provided. But we obviously still see
13 inefficiencies there, and we see even when you get
14 through that whole process, projects don't materialize.

15 And so my first question is, is that -- are the
16 current requirements that we have to address the
17 speculative nature of these projects sufficient, given
18 that over the last 10 years, we may have experienced one
19 thing, but it may become more competitive or we may see a
20 greater degree of change going forward? Do we need to
21 start thinking about whether there are additional metrics
22 we could put in place to ensure that these projects are,
23 you know, real?

24 The other piece of that is, to what degree
25 of -- I don't have a better word. To what degree of

1 realness are we talking, right? So if we put -- if a
2 request comes in and we go through this process and they
3 put money down, how do we account for the amount of load
4 that they're requesting? And is that subject to change?
5 And based on your experience, is that something that we
6 see fluctuate over time as an entity goes through the
7 process?

8 My very last question, which I'll ram on top of
9 it is, which relates back to the interconnection queue
10 process, are there time frames on the part of the data
11 center with respect to these commitments as they go
12 through this process? My thinking there is, is it
13 possible, like we see in the interconnection queue
14 process, that as they make their way through this
15 process, there's ways to delay, there's ways to pause,
16 there's ways to have the process sort of be protracted
17 out so that we have this load that's out there that we're
18 now accounting for but that isn't coming to fruition for
19 a long period of time. And then behind it in the queue,
20 we're sort of stacking.

21 So that's my bucket of questions related to
22 forecasting. And I appreciate all your thoughts on
23 those.

24 MR. BLACKWELL: So I believe the queue you're
25 speaking of is the PJM generation queue. Is that

1 correct?

2 COMMISSIONER BAGOT: Yes. Not PJM
3 specifically, but that is one of the interconnection
4 queues, yes.

5 MR. BLACKWELL: Yeah, so the way at Dominion
6 Energy we handle that so we don't have a similar thing is
7 we have migrated to a time frame. If you ask us to do a
8 engineering study, takes us four to -- or six to nine
9 months we render you the options, we have had in the past
10 where that particular company would go then say, I've got
11 a study, and try to find an end user. And so we kept
12 wondering, when are they going to show up, you know,
13 what's the time frame?

14 And so we have since put time stamps on there.
15 The demand is so high, once we render an engineering
16 study, we're saying you have 90 days to progress to a
17 construction contract. And if you don't
18 progress -- given the massive amount of demand and
19 requests we have, if you don't progress, you go back to
20 the beginning of the queue.

21 Now, it kind of self corrects. Because of the
22 significant demand we're seeing on the system, you go
23 back into the queue, that engineering study is no longer
24 valid because when we get back to your project again, the
25 whole configuration of the transmission system has

Transcript of Hearing
Conducted on December 16, 2024

63

1 changed. And so that's not how the generation queue
2 works to my knowledge, but that's how we're handling
3 projects. You're telling me you're serious. Here's your
4 results. Let's move forward.

5 And so that's how we manage the queue, for lack
6 of a better term, to get to a construction contract,
7 which is where ultimately, you're building
8 infrastructure.

9 I think your second question was, well, do you
10 get in the queue and then they change their loads? And
11 that does happen. And if they increase it, you go back
12 to the beginning of the engineering process because
13 you're typically requiring a lot more infrastructure, the
14 larger it gets. And if they substantially lower it, you
15 have to go back to the engineering queue because you may
16 no longer build transmission.

17 And so it works kind of the same way. You were
18 the next in line, and then we call you and say, okay, I'm
19 ready to do engineering. Well, well, change this number.
20 And so it slows the process down.

21 And speed to market, I think Mr. Tinjum said
22 speed to market is very paramount to the industry. And
23 so we try to say, here's the process, here's the timeline
24 that you're going to have to make decisions. And those
25 folks that are serious and not speculative, will progress

1 through the contracting process.

2 Did that answer your question?

3 COMMISSIONER BAGOT: Yes, it did. Thank you.

4 MR. BLACKWELL: Thank you.

5 COMMISSIONER TOWELL: Mr. Blackwell, can I just
6 follow up briefly on that and piggyback a bit off of my
7 colleague's question? You said that Dominion Energy of
8 Virginia has a lot of data on these processes going
9 about -- going back about 10 years with respect to data
10 centers. But as we've heard from some folks here and
11 then some of the pre-file comments that today's data
12 centers are very different than yesterday's data centers
13 when it comes to load. If that is the case -- and you've
14 done, I think, a very good job of outlining how Dominion
15 deals with requests in the queue today, involving today's
16 data centers, and we've also heard from Mr. Chupka that
17 that forecast is probably pretty robust for the near term
18 because you have individual companies that are, as you
19 have said, putting their skin in the game.

20 But when you get out seven, nine years with
21 forecasting, how does the company wrestle with the
22 forecasting over a longer period of time when you don't
23 have the same kind of data on the immediacy of the
24 projects and the changing character of data centers going
25 forward based on AI and other uses of those data centers?

1 MR. BLACKWELL: So the change we've seen over
2 the last 10 years with data center operators, and Mr.
3 Tinjum can supplement this, is the size of the building.
4 So if you look eight years ago, our -- in Virginia, our
5 typical big data center was a 25-megawatt building.
6 Couple years later, that became a 45-megawatt building,
7 went to 60, and we're specking 90-megawatt-plus buildings
8 today. And in fact, the industry is moving towards big
9 campuses where you're putting multiple buildings on
10 there.

11 So the nature or change is the size of the
12 building, if you will. Along those lines, the technology
13 going in those buildings, back to my TV analogy, has
14 changed. Everybody has a navigation software that you
15 use now when you drive. Everybody's using virtual
16 meetings. And so all of the -- every time a new
17 technology is developed, it goes in a data center and
18 adds to what that processes. And so that's another
19 change that you find in the data centers.

20 The PJM processes asked us to forecast 20
21 years. We have very near-term, very high-level accuracy.
22 Our eight-year average is under one percent -- our
23 variance is one percent, eight-year average, on about
24 3,600 megawatts of data center load today on the meter.
25 And so it works very, very well in the short term. It

Transcript of Hearing
Conducted on December 16, 2024

66

1 will not be as tight as we go out.

2 And so the way we address that at Dominion,
3 I -- some of our other partners do, we do scenario
4 analysis. We do a high case, and we do a low case. And
5 what we recommend to PJM is our -- the middle case. I
6 didn't mention it earlier, but part of our process is so
7 we discreetly forecast our seven largest or fastest
8 growing customers, and then we call them and say, Can you
9 please give us your 20-year forecast? I don't want a
10 capacity forecast. I want what's going to occur on the
11 meter because that's what we're building infrastructure
12 to, meter demand, not capacity.

13 And so we collect those from our customers, add
14 them up and compare them to our forecast method. We tend
15 to be more conservative, but -- and we talk to our
16 customers about it. I give that customer a chance to
17 convince us why the forecast -- their forecast is more
18 right than ours. And so it's a very iterative process
19 that makes it -- you're trying to make it as valid as
20 possible.

21 COMMISSIONER TOWELL: And to clarify one word
22 that you used, Mr. Blackwell. You said you tend to be
23 more conservative. From the company standpoint, which
24 direction is conservative?

25 MR. BLACKWELL: Lower than the sum of the

Transcript of Hearing
Conducted on December 16, 2024

67

1 customers.

2 COMMISSIONER TOWELL: Thank you.

3 MR. BLACKWELL: And here's a way to think about
4 it. I think your question I didn't address was you
5 talked about if you're under the forecast or over
6 the -- results are higher. If you tend to under
7 forecast, it's self-fulfilling because if you're under
8 forecasting meter demand, you can't serve it. You have
9 to put infrastructure in place. So it's kind of
10 self-correcting. If you over forecast you perhaps may
11 build more than what the industry will consume. But we
12 have not experienced that, so.

13 COMMISSIONER BAGOT: Mr. Hewa?

14 MR. HEWA: Yes. Thank you. So at the local
15 delivery level, we are not discounting the request. If a
16 member asks us for 300 megawatts, 300 MVA, we're
17 designing for that. If they ask for 900, we're designing
18 for three 300s. They may occur in phases, but we are not
19 discounting the potential for the site.

20 And I think there is a very substantial, very
21 large question mark around hyper scale campuses because
22 one of the benefits of those initiatives is that it's met
23 all of its local planning and zoning, the transmission
24 owner has responded with the necessary or at least some
25 portion of the necessary infrastructure. And for

Transcript of Hearing
Conducted on December 16, 2024

68

1 Virginia, that could represent a massive future
2 opportunity of readiness for these sites to build out
3 quicker than can be done in other markets, potentially.

4 And so the amount of power that we have and the
5 pricing matters, and the scale of these campuses matters,
6 not just for the initial load ramp in the first several
7 years but also an economic engine that could be extremely
8 valuable for Virginia.

9 In our organization, we've created an entire
10 division. Right? We've hired a growth officer. We have
11 multiple economic development team members solely focused
12 on data centers. An engineering team and an engineering
13 procurement and construction contractor solely focused.
14 It's become such a large challenge that we've actually
15 kind of had to develop a parallel solution to the rest of
16 our 18,000 miles of infrastructure to design it and work
17 with it.

18 And we want our data center members to -- we
19 want to collaborate extremely highly with them. We want
20 to make sure they understand how committed and capable we
21 are of understanding the gravity of their project and
22 their need to get in service and to meet their in-service
23 date. So our model, which is already very, very, very
24 collaborative, fits nicely.

25 You mentioned the question around realness. We

Transcript of Hearing
Conducted on December 16, 2024

69

1 do work with both what I would say enterprise data
2 centers as well as co-location. And the co-location may
3 be slightly more speculative. But nonetheless, of the
4 16,000 megawatt portfolio that has -- that we are engaged
5 with nearly, one-fourth, nearly 25 percent, almost, of
6 the transformers are already paid for and on order. So
7 these are, you know, 4- or \$5 million transformers.

8 So there is a -- in our organization, there is
9 a high degree of realness. It's difficult to predict on
10 the generation and megawatt consumption size later on.
11 But from an infrastructure perspective, we are feeling
12 and experiencing what I would say is a very, very
13 tangible. That being said, in the example I used today,
14 I said if only half of our portfolio builds, I simply
15 said that just to express that, you know, signing a
16 letter of application and committing to the third phase
17 of a project are two different things.

18 But we are seeing also fluctuations. And I
19 would just add that when we have seen fluctuations, for
20 the most part, it's been an addition of load
21 predominantly.

22 COMMISSIONER TOWELL: Thank you.

23 COMMISSIONER BAGOT: Yes, Mr. Blackwell?

24 MR. BLACKWELL: Yeah, that he brought up a good
25 point I didn't talk about. So let me clarify it a little

Transcript of Hearing
Conducted on December 16, 2024

70

1 bit. So if a customer comes to us and says, Build 300
2 megawatts worth of capacity at this site, which happens
3 all the time, we -- the customer nor Dominion Energy
4 believes that customer's instantly going to go to 300.
5 All big infrastructure, substations, transmission
6 generation, you're building in advance of the load.

7 But the process for PJM and IRP, there's a
8 check and balance. So hypothetical example. Every
9 customer says, build 300 megawatts, I want all that
10 capacity day one. We know that's not how the meter's
11 going to turn. And so we will, like John, build that; if
12 they're willing to pay, you do it with contract dollar
13 minimums and things like that.

14 We'll build that, but we don't expect that
15 metered load to instantly go to 300. The checks and
16 balance in this is your long-term meter demand forecast
17 because that's what justifies big transmission projects
18 and generation projects.

19 COMMISSIONER BAGOT: Thank you. Okay. So I
20 wanted to follow up that a little bit and pull in Mr.
21 Karandikar's -- something that he mentioned in his
22 pre-filed comments, which was this discussion about a new
23 type of emerging (indiscernible) that SERC has identified
24 as rapid non-traditional load growth. So pulling in our
25 discussion that we've just had about the types of

1 information we use to decide whether a project is
2 speculative or not, or the amount of load we can expect
3 to show up and the risks -- I think you also talk about
4 sort of this interdependency of reliability risk.

5 So what are the -- going forward, what are the
6 information gaps that the utilities have or between
7 utilities or between the utilities and PJM or other
8 regulatory bodies that we need to bridge in order to get
9 more comfortable with the forecasts -- or the reliability
10 of the forecast that we're getting or to just get better
11 forecasts?

12 So I'll open that up to anybody, but I'm
13 curious if there are information efficiencies that need
14 to be happening going forward.

15 MR. TINJUM: Yeah, and I think from the data
16 center industry's perspective, one concern that stands
17 out to our members as they engage utilities across the
18 country within the PJM footprint specifically is that the
19 way Dominion, for example, may build its forecast may be
20 different than how AEP is doing so, especially in Ohio,
21 how ComEd is doing it in Illinois, and that the
22 differences aren't clearly spelled out as that is
23 provided to PJM and PJM creates its overall load
24 forecast.

25 And so we are keenly interested in

Transcript of Hearing
Conducted on December 16, 2024

72

1 opportunities for standardization and at least greater
2 understanding and transparency of those differences. And
3 if there can't be some sort of best practices established
4 based off of what each utility is doing that we can all
5 work and plan around moving forward.

6 MR. KARANDIKAR: Yeah, I agree with that
7 comment, actually. We collect the data from our
8 utilities on an annual basis for the 10-year forecast.
9 And depending on which utility actually is reading the
10 data submission instructions, sometimes there's a small
11 bit of variation as to how they submit. So a lot of time
12 when we aggregate the data and present it saying this is
13 the forecast, it has its nuances built into that because
14 everybody submits it in a different form. Some use ELCC,
15 I know, for solar and wind. Some people are using on
16 their experience on -- operation experience as to how
17 they do it.

18 So there are certain differences, and
19 there -- and a clear set of instructions are something
20 that we are working towards is to make clarity as to this
21 is what by what we mean. And open communication and
22 transparency is the key to achieving that consistency
23 there.

24 MR. BLACKWELL: I would add to that. So we're
25 very fortunate in Virginia that we have the largest

1 market in the world, and we've had the longest period of
2 time working with the data center industry over 10 years
3 of metered data. And so we have gone through a variety
4 of forecasting techniques that has evolved into where we
5 are today. And so I would agree, you see in the
6 footprint different methodologies.

7 The one key that -- we were asked by PJM to
8 kind of present best practices and forecasting last year,
9 and one of the key points I always stress to other
10 utilities is the difference between requested capacity
11 and metered demand. You're going to build a lot of large
12 infrastructure, but it will take time to grow into it.
13 So requested capacity versus metered demand is a key
14 point I stress with our utility partners.

15 Last thing I'll enter is the utility industry
16 is working on these things. We did that at PJM. We've
17 worked with our co-op partners here in Virginia. We work
18 with our data center customers. And at Dominion, we're
19 probably talking to a utility across the U.S. every other
20 week. In this past week, we had five very large
21 investor-owned utilities we hosted up in northern
22 Virginia this past week, sharing best practices, for lack
23 of a better word, benchmarking, however you want to term
24 it, so.

25 COMMISSIONER BAGOT: Great. Thank you.

1 MR. HEWA: I would just add that the
2 pace -- when we think about the gaps, the information
3 gaps, some of it is a result of pace and how quickly the
4 traditional sector and, you know, planning processes
5 operate with respect to the introduction of a fast-moving
6 large load. Right? In my comments, I characterized
7 Rappahannock's, you know, 85 years of co-op history. And
8 we've got a mountain of load in progress that -- and
9 campuses, individual campuses that will exceed the
10 co-op's annual energy footprint when built out to
11 fruition.

12 So some concepts around how we handle specific
13 large load requests, I think, needs to be considered and
14 how those are -- because after all, in some cases, these
15 campuses represent more than an entire municipality or
16 co-op. And that is being added and pressed into the
17 system in a time frame that isn't consistent with
18 traditional transmission construction timelines or
19 investment or especially generation timelines for
20 investment.

21 And as a retail cooperative, part of what we
22 are keenly looking out for is to make sure and to
23 advocate that the supply in Virginia, and not just
24 leaning on other states, but the supply in Virginia
25 really needs to match the demand of what's coming so that

1 we can keep market prices affordable so that Virginia can
2 fulfill its commitment to all the economic development
3 that it's already recruited and continue to be recruiting
4 more in the future while we keep residential and
5 commercial accounts healthy economically.

6 COMMISSIONER BAGOT: Thank you.

7 COMMISSIONER TOWELL: Thank you, Judge.

8 Another question for Mr. Karandikar. And that is,
9 recognizing that SERC does not have an overlapping
10 footprint necessarily with PJM, and also that -- I
11 believe that neither Ohio nor Indiana are necessarily in
12 the SERC footprint, but when it comes to reliability,
13 what trends have you seen in other states within SERC?
14 And how does kind of Virginia kind of stack up within
15 that overall grouping of states?

16 MR. KARANDIKAR: Thank you, Judge, for that
17 question. I want to first of all clarify that our
18 mission is to assure the effective and efficient
19 reduction of reliability risk and emphasize that SERC is
20 an independent and objective voice that educate and focus
21 only on reliability. So we usually have divided our
22 system -- we are over 16 states. We serve over 100
23 million people or over 300 entities.

24 We divided our system into seven -- we look at
25 into seven different assessment areas, and those

1 assessment areas currently the way they are, they overlap
2 based on either a planning coordinator or a group of
3 planning coordinators. So they don't respect the state
4 boundaries as such, as the question was. So we have in
5 the future plan to do and start looking at the state
6 boundaries. But, you know, the grid does not respect the
7 state boundaries. So we kind of look at how the system
8 is operated rather than how it is -- how it needs to be
9 regulated from a state perspective.

10 So that's our focus. So I can talk a little
11 bit more about other regions, how they are preparing or
12 how they differ from each other. SERC has one of the
13 longest coastal lines of any other regional entities. We
14 are very much focused on the impact of weather. If you
15 look at our risk report, weather shows up as number two
16 risk on that list. It's not just limited to hot or cold.
17 We see a lot of hurricanes. You saw the Hurricane Milton
18 and Helene cost a tremendous amount of damage to life and
19 property this past hurricane season.

20 So our focus is on building that. Hardening
21 the system is part of that, how we are trying to approach
22 it. So the coastal regions are more focused in that.
23 Florida, for example, MISO south, which
24 includes -- Entergy is a big utility in that area.
25 Southern with the coast of Alabama and Mississippi also

1 in the same region.

2 We also experienced some ungodly weather. I
3 know the Winter Storm Elliot was mentioned. It was the
4 first time in the history that SERC region dropped some
5 form load about totaling up to -- close to 5,000
6 megawatts that got dropped during the Elliott. So winter
7 weatherization of generators is something that we heavily
8 focus on. This is more applicable to the south side of
9 SERC, not so much of the north side because the way the
10 generators are built are different in the north because
11 they expect it to get cold, unlike the south, where they
12 expect not to get cold.

13 So they are more focused on how they are going
14 to winter weatherize that -- those generators also. So
15 that one another focus of how we are addressing or at
16 least talking about or having discussion around the risk.

17 As far as the large load growth is concerned,
18 we see that across the SERC footprint. Northern
19 Virginia, obviously, is the Virginia -- Dominion of
20 Virginia is one of the largest growing. We usually
21 have -- in the past years have the compound annual
22 rate -- growth rate of about one percent to two percent.
23 Virginia itself, now it comes to in the data that we see
24 is about 8 to 10 percent.

25 Georgia is another state that is also seeing a

Transcript of Hearing
Conducted on December 16, 2024

78

1 rapid increase in the demand growth. And Florida is
2 other. There are always -- there are a lot of people
3 moving to Florida. I'll mention this here as well.
4 South and Southeast is the only region in the country
5 which is seeing a population growth. So about 1.8 to 2
6 percent of population growth is seen in this region. All
7 the other areas of the country actually has a negative
8 population growth. So we have to account and we also
9 look at how the general uses of electricity is also going
10 up. Thank you.

11 COMMISSIONER HUDSON: Did you have another
12 question?

13 I think that's a nice segue into resource
14 adequacy, and I wanted to hear from the panelists to talk
15 a little bit more about that and kind of ask, do we need
16 to improve load growth modeling to better reflect the
17 impact of data centers as it relates to resource
18 adequacy?

19 MR. KARANDIKAR: I'll kick it off, per se. So,
20 you know, the large load -- it is a resource adequacy
21 problem. You know, it's a math problem. There are two
22 problems here we are talking about. I'll talk about the
23 math problem first, which is essentially what the
24 generator we need in order to serve the actual load.

25 But what we have seen in the past is

1 that -- and somebody on the panel already mentioned that
2 the load that we see from the data centers is a 24/7 kind
3 of load. So you see that 365 days a week -- a year that
4 it's going to be there.

5 The generation queue, if you look at that, it's
6 mostly made of a solar generation with a little bit of
7 hybrid in there. Somewhere in very little natural gas
8 is -- as well. If you look at other part of, these are
9 the things that the resource are coming onto the system,
10 you also need to look at what are the systems that are
11 getting off the system. So we see a lot of coal and
12 natural gas are also planning to retire. About 8,000
13 megawatts of coal is what we are projecting to retire in
14 the next 5 to 10 years in this -- at least in SERC
15 footprint. And the number is much larger if you
16 took -- take into account other places as well.

17 So we need to focus on how do we -- can we slow
18 down maybe the retirement. And I'll qualify that, that
19 I'm resource agnostic. I'm worried only about the
20 reliability of the system and not quite concerned with
21 which resource it comes from. If there is a mix of
22 solar, it has to come and combine itself with some other
23 resource that can provide the 24/7 kind of scenario as
24 well.

25 The math problem -- that was the math problem.

1 The physics of it is that the large load have operational
2 challenges associated with it. I think you mentioned
3 that as well. And operating-wise, what we have seen is
4 that -- and Mr. Blackwell mentioned that the size of the
5 data centers is growing. Some of them are now bigger
6 than the generator -- of some of the single generators
7 itself, you know, those big nuclear power plants. And
8 they cope, but they're bigger than those.

9 Planners are very good in studying the loss of
10 generators. You know, when you lose a generator, what do
11 you do? Manage the system. Not so much as to what's the
12 loss of load causes it. We experienced that very
13 recently, but that size of load continues to grow, and
14 that is something that we need to study because it gets
15 into a stability and transient problems. The load that
16 we see from the data center is much more aligned with
17 what we see from the inverter-based resource. We have
18 studies that we have experienced that those
19 inverter-based resource came offline and -- because they
20 could not ride through.

21 So some more studies need to be performed in
22 order to make sure that the load also stays online during
23 this fall when the relays and the breakers are doing
24 their job to isolating the faulty areas. Thank you.

25 COMMISSIONER HUDSON: Sure. And do you think

1 that the bring-your-own-generation model is a viable
2 model to address some -- or offset some of the resource
3 adequacy challenges?

4 MR. KARANDIKAR: So talking about generator
5 studies part -- from study point of view, there are a lot
6 of black box models that are involved here. And I'm
7 assuming that is kind of a roadblock for anyone and
8 everyone to take those and perform the studies as such.
9 So we need to expand that area as to make these not just
10 the generator model but also the load models. We're not
11 very good with the dynamic load models yet. We're
12 getting into that modeling and study side of it. We're
13 not quite -- we're getting better at it, but we would
14 like to see some more improvements in that space on how
15 the load models are created so that it gives us a little
16 bit more insight into planning and predicting what the
17 system would behave into the future.

18 COMMISSIONER HUDSON: Thank you.

19 COMMISSIONER TOWELL: A question I think
20 related to data centers broadly. We've been using the
21 term data center kind of generically so far, but I would
22 be particularly interested in hearing From the Data
23 Center Coalition but also anyone else who has particular
24 insight in this and that is, you know, not all Hyperscale
25 Energy users are necessarily the same, whether it's the

1 demand that they're pulling off the grid, the underlying
2 service that they're conducting, their ability to
3 potentially reduce demand in certain circumstances.

4 And so I'd be interested in hearing kind of
5 within the umbrella of Data Center, what sort of
6 breakdown we're really talking about, especially when it
7 comes to firm 24/7 demand.

8 MR. TINJUM: Yeah, happy to answer the
9 question. And it's an important one. And I'll start by
10 stating you know, DCC's membership, we have two different
11 business models that are reflected. One that is often
12 referred to as hyper scaler. Increasingly, we are
13 referring to them as self-performers or enterprise data
14 centers, those that are building facilities to support
15 their own operations.

16 And then the other model are multi-tenant
17 co-location facilities, which refers to those facilities
18 that are leasing to one or more tenants. So they may
19 build the facility and then lease it to one very large
20 customer. There are also multi-tenant facilities that
21 lease to upwards of 200 customers within a facility.

22 And so those two different business operations
23 or business models occur within our membership. I should
24 note that none of DCC's membership conducts
25 cryptocurrency mining or staking as a primary business

Transcript of Hearing
Conducted on December 16, 2024

83

1 operation. We see that as a very different business
2 model, a different mission. And then in relation to
3 energy, it manifests different grid characteristics. I
4 think in certain jurisdictions, you have seen crypto
5 miners or stakers participating more regularly in demand
6 response programs as part of their business model.

7 From our perspective, as has been discussed on
8 the panel here today, our members are generally 24/7/365,
9 supporting the essential services offered by cloud
10 computing and then also artificial intelligence. There's
11 a lot of coverage, obviously, and importantly around the
12 growth in artificial intelligence and what we'll see in
13 the coming years.

14 I have seen multiple studies that indicate that
15 the vast majority of data center development to date is
16 still going to cloud computing, especially when we
17 consider the shifts coming out of the pandemic in terms
18 of virtual meetings, cloud storage, online banking,
19 financial transactions, online education. So much of
20 that is still a reflection of cloud computing.

21 COMMISSIONER TOWELL: Two follow-on questions,
22 and good job reading my mind on some of these. You
23 described two different kind of business models. Is that
24 somewhat akin to say owner-occupied versus rental
25 properties?

Transcript of Hearing
Conducted on December 16, 2024

84

1 MR. TINJUM: Yeah, I think that it can be
2 boiled down that way. And then I think that's an
3 important consideration when considering multi-tenant
4 companies, those that are leasing server space within
5 their facilities. Just as you wouldn't have control if
6 you were, you know, renting out an apartment to what's
7 occurring in every individual apartment unit in terms of
8 their energy consumption, the companies that own these
9 facilities don't have control over the server
10 infrastructure. And so when we talk about potential for
11 load flexibility or demand response, that's significantly
12 limited because they don't control their customers'
13 servers.

14 And then also there are contractual obligations
15 for 99.999 percent uptime, we call it the five 9s, that
16 require them to ensure that those servers are up and
17 running and have readily available power.

18 COMMISSIONER TOWELL: And one additional
19 question. And then I think a follow on, then, for Mr.
20 Blackwell. And that is, I may have misunderstood,
21 but -- so please correct me if I'm wrong.

22 But you said that when it comes to crypto
23 mining, that the underlying infrastructure is
24 sufficiently different than existing data centers that
25 are in the Virginia footprint would not be compatible

1 with that particular use?

2 MR. TINJUM: I don't have information to that,
3 so I don't want to overextend my response. I will say
4 that it's our understanding that certain computing
5 servers are better suited for crypto applications versus
6 cloud computing or artificial intelligence.

7 COMMISSIONER TOWELL: And then, so, Mr.
8 Blackwell any insight you have on that would certainly be
9 particularly useful, as well as how the utility in your
10 case, if at all, differentiates between the kind of view
11 it takes with respect to owner-occupied development
12 versus what I have ham-handedly called the rental
13 property model?

14 MR. BLACKWELL: Yeah, so we -- from our
15 perspective, all customers are good, but they behave
16 differently. And so hence the -- you know, go back to
17 statistical -- to statistically modeling behavior. And
18 so we have -- I'll add one more segment to what Aaron,
19 Mr. Tinjum, provided.

20 Hyperscale or cloud computing, the way I think
21 about it is they put their own servers in their facility,
22 and you're buying space or capacity on their server.
23 Think of the big ones.

24 The co-location segment Aaron talked about, the
25 behavior of a co-location company has nothing to do with

1 the name of the company. It has to do with what
2 customers go in there. So you could add Tinjum Data
3 Centers has two buildings. One, he has a cloud provider
4 in there; it's going to behave like a cloud provider.
5 The other one's multi-tenant; it's low profile will look
6 completely different.

7 And so we don't forecast, if you will, by the
8 name of the company, just simple way. We don't do it
9 that way. In fact, for our co-location segment, as I
10 mentioned, we forecast them in total.

11 Now, the one -- the crypto currencies today in
12 Virginia, we're almost 50 percent cloud or hyperscale and
13 about 50 percent co-lo. It's -- just say 49 percent each
14 of those. And then there's another category called
15 enterprise. Think of banks. There are banks that will
16 build their own data center facility for their customers'
17 data. You don't see a lot of that, but there's an
18 enterprise segment.

19 We have one cryptocurrency firm. We had one
20 years ago. It was here about two years and went
21 bankrupt. We have one now. It's very, very small.
22 Virginia is not and has not really been a cryptocurrency
23 market. But we do like to look at these types because
24 their behavior is different.

25 So cloud co-location enterprise, it's all about

1 how quickly they ramp, but their 24/7 usage patterns are
2 all the same. They all behave the same. It's just how
3 fast do they grow into capacity? Each have a little bit
4 different structure. Cryptocurrencies, if they tell you
5 set the meter, in two months, I'll be at 20 megawatts,
6 they will do that. So we have had that experience.

7 So you watch them because if you build it,
8 they'll fill it very, very quickly. So -- but again, we
9 have one very, very small cryptocurrency in our service
10 territory.

11 MR. HEWA: So if I could add, I think the
12 nature of this discussion really portrays how we need to
13 look at data centers as a group in aggregate, but they
14 need individual treatment all the way up to PJM. From a
15 distribution perspective, we have an obligation to serve,
16 regardless of what that end use might be. But given the
17 scale, the need to handle them as a group but also to
18 have each individual project over a certain size
19 individually handled all the way through its fruition,
20 both from a planning perspective, which has to happen
21 quicker and maybe rotate more quickly than it has in the
22 past, and from a contractual perspective.

23 And then as that occurs, I would hope that in
24 the commonwealth, we could run scenarios around supplying
25 and demand and look at how that relates to reliability

Transcript of Hearing
Conducted on December 16, 2024

88

1 and pricing with the intent of assuring reliability,
2 affordability, and keeping Virginia on top for
3 competitiveness.

4 COMMISSIONER BAGOT: Thank you. So I had a
5 question about -- well, I have a number of questions.
6 Trying to decide which one to select from. I'll talk
7 about -- if we're talking about planning, I'll talk about
8 transmission planning with respect to some of these data
9 center loads and the requirements that come from them.

10 So at the utility level, there's the local
11 planning piece of it. I think in PJM that they use the
12 word supplemental planning. And then there's also the
13 larger regional transmission planning process. So I want
14 to explore a little bit how these data center load
15 forecasts are accounted for in both of those planning
16 processes and what degree of coordination is there in
17 terms of efficiencies between addressing needs through
18 local projects versus addressing needs at a more regional
19 level, particularly with respect to, like, cost
20 efficiencies that may be available to customers.

21 COMMISSIONER HUDSON: And Judge Bagot, if I may
22 add.

23 COMMISSIONER BAGOT: Sure.

24 COMMISSIONER HUDSON: I would also like to find
25 out, do you think that the current transmission process

1 is agile enough to respond to the rapid pace of the data
2 center growth that we're actually having? If that's
3 helpful.

4 COMMISSIONER BAGOT: So I didn't direct that at
5 anybody in particular. I will note there's one utility
6 representative and a co-op representative up here, but
7 I'll open it up to anybody who has some thoughts on those
8 questions.

9 MR. BLACKWELL: I'll go ahead and start with
10 that since Dominion Energy is a transmission owner in
11 this area. So when you come and say, I'm going to build
12 a data center campus, you -- I want 300 megawatts of
13 capacity, that's a substation on our system. That's our
14 standard. The first thing we do is look at where is
15 existing transmission, how far away is that? Most data
16 centers try to get as close as possible.

17 And so step 1 is you do transmission planning
18 to run a quarter-mile line from existing transmission to
19 the facility. That's typically easier transmission
20 planning. The second step is, I now have this connected
21 in my study, but is there a bottleneck somewhere up line
22 from here? And so it gets much more involved than when
23 you're doing transmission planning. Where is the closest
24 bottleneck? While electrons can flow, will I run out?

25 My simple analogy, if you have a bunch of kids

1 and everybody gets in the shower at the same time in the
2 morning, you have no water pressure. And so you have to
3 kind of think about that, is the water main big enough
4 coming into your house? And so that becomes -- and the
5 gentleman to my far right may be able to talk more about
6 that. But you have to look more regionally. It may be
7 in Dominion's territory. It may be in another state.
8 Where is the bottleneck? And that's -- globally, you
9 have to look at both of those.

10 So what we would do as a utility is say, I can
11 connect you, but I can only serve you 100 megawatts
12 because I have this project 100 miles away that happens
13 to be the bottleneck in my example, and until I energize
14 that, you can't have any more. And so that's -- at a
15 very simple way, that's how transmission planning works.

16 MR. KARANDIKAR: Thank you, Mr. Blackwell.
17 I'll comment a little bit about -- obviously we don't do
18 the TPL analysis as part -- as, like, transmission
19 planning as such at SERC because that's the
20 responsibility of individual entities. But what we do is
21 we do seasonal and long-term assessments of both resource
22 adequacy and for transmission adequacy.

23 For transmission adequacy in particular, we
24 build models with the help of our utilities, but for the
25 entire eastern connection, and use those models,

Transcript of Hearing
Conducted on December 16, 2024

91

1 especially for the SERC region, to perform transfer
2 analysis, contingency analysis. We do cascade analysis,
3 so we do a very comprehensive study in a transmission
4 space for the entire SERC footprint.

5 Now, I'll caveat that because we are limited by
6 the data that the entities provide us. So we are
7 not -- we are only limited -- I think the modeling
8 requirements is that if it's a tier one kind of resource,
9 then you are projecting it to go in, you're quite
10 certain, you put that in the model. And that becomes a
11 part of the study.

12 But the future, the scenarios part, we don't
13 get into it because we are only limited to what the
14 entities provide us in order to what we study. We do
15 have multiple different scenarios with that we run. We
16 have a summer, a winter, a short -- you know, a shorter
17 case. We have a 5-year, a 10-year-out cases.

18 So we do a whole bunch of scenario studies that
19 we perform. And we do that every year. And we compare
20 how the system is changing year over year as well.

21 The next step in the process is taking the SERC
22 model and bringing it on an eastern interconnection
23 level. So we partner with our sister regions,
24 ReliabilityFirst, NPCC, and MRO in order to look at a
25 much larger system as well. We don't quite perform the

1 study as such. We used to do that like five years
2 earlier. We used to actually do a study on a entire
3 eastern connection. We'll do a transfer analysis and see
4 what the size of the pipes and bubbles are. We have not
5 done that in past five years.

6 But fortunately, we just completed a study that
7 the Congress asked NERC and the regions to do. That was
8 the inter-regional transfer capability studies. We
9 learned a lot from that, and we plan to continue to do
10 that. That is an interconnection-wide study to identify
11 some of those bottlenecks, per se, and provide that
12 feedback back to the entity so that they can do things to
13 mitigate them.

14 MR. HEWA: So as the link in the chain, if you
15 will, between the transmission owner and the data center,
16 one of our biggest risks or concerns is in the case where
17 regional or transmission investment is being made on
18 account of certain projects but is a regional approach
19 and paid back over time through PJM's billing
20 determinants, which are based on peak demands. There are
21 a few serious concerns for us as the local distribution
22 and delivery provider.

23 One is the scenario of project cancellation.
24 In other words, the transmission owner mobilized to
25 build, and the project cancels, and we're working to

1 secure that obligation from the customer. But the other
2 one is really with respect to recognizing that for the
3 most part, the transmission owner may not be billing the
4 data center up front for the regional transmission
5 infrastructure. That is a calculated return on
6 investment for that owner over the next, you know, 30
7 years, for instance, through the PJM billing
8 determinants. And one thing we need to be cognitive of
9 is that those billing mechanisms within PJM focus on
10 what's called the 1 CP, and some zones it's broken out as
11 12 CPs.

12 But in either case, it's either 1 peak hour or
13 12 hours. And the divvying up of those transmission
14 investment dollars are made by customers based on their
15 contribution, their load or their demand at those hours.
16 And so one scenario we need to be thoughtful about, one
17 is cancellation, where somehow the project isn't secured
18 enough and the data center isn't paying for cancellation.
19 And the other one is where the transmission got invested,
20 but during those peak hours, the customer is able to come
21 off their load, switch it to, you know, Nevada or Texas
22 or wherever they may own multiple facilities, and
23 actually not be held accountable for those billing
24 determinants for that year, that -- the following year.

25 So there are some mechanisms that back up

1 large, large, large scale investment that we need to be
2 very thoughtful about in the ultimate decisions around
3 equity and paying for the cost of causing that
4 investment.

5 COMMISSIONER BAGOT: Can I ask a clarifying
6 question?

7 MR. HEWA: Yes.

8 COMMISSIONER BAGOT: When you're talking about
9 cancellation and the risk around cancellation, are you
10 talking about the data center -- the need from the data
11 center disappearing and so there's no longer a need for
12 that regional transmission investment and so there -- you
13 may have built something and there are stranded dollars
14 associated with it? Or are you talking about
15 cancellation of transmission service associated with --

16 MR. HEWA: Yes, I'm really speaking of the
17 first scenario and really kind of two variations of that.
18 One, it would be an outright cancellation. It's a
19 four-year project or three or four or five years to end
20 service, and the owner goes away or their project
21 dissolves after the transmission commitments have been
22 made, and the transmission owner is beginning or
23 far -- you know, well down the road of extending those
24 facilities. So in that case, the project goes away.

25 In the other scenario, a projection around 800,

Transcript of Hearing
Conducted on December 16, 2024

95

1 900, 1,000 megawatts of load, and the realization is 100
2 megawatts or 50 or -- you know, for it. And I think that
3 would be an unusual case. But those are the scenarios at
4 the distribution level that are very critical to us
5 because we are in fact in the middle of that transaction.
6 And to try to secure it long enough with each different
7 customer in understanding their contribution to -- in the
8 investment is a challenge.

9 But even after it goes in service at full
10 operation, if you're not -- if a data center drops its
11 load so profoundly during the peaks, it is not computed
12 in those billing determinants from PJM. And, you know,
13 others on the panel can correct me, but you could be a
14 thousand-megawatt load. But during those peak hours, if
15 you're 400 megawatts, then that is the allocation of that
16 transmission investment for the next year, and so on,
17 year to year to year. And right now that's a 1- or a
18 12-peak scenario, depending on how you're looking at
19 that.

20 COMMISSIONER TOWELL: Just a quick follow up on
21 that, Mr. Hewa. From what I understand from the demand
22 profile, the risk you identified first in response to
23 Judge Bagot's question, that the project gets largely
24 built and then the particular project owner bails, is
25 there not at least currently some cushion given the

1 enormous demand for projects that you're not going to
2 have to sit on a stranded transformer; there's going to
3 be someone who's going to want to move into that spot
4 pretty quickly?

5 I understand if someone doesn't pay, you can't
6 just swap them out for another customer. I understand
7 that.

8 MR. HEWA: Right.

9 COMMISSIONER TOWELL: But when it comes to
10 project build and especially related transmission, won't
11 somebody come and connect to your facility?

12 MR. HEWA: I think that is very likely. From
13 the local assets, those are prepaid. So our cooperative
14 is receiving prepayment. So we are financially covered
15 and covering our members on that. It's really more the
16 transmission investment.

17 And as this -- as our service region, I'm
18 speaking more for Rappahannock at this point, as our
19 region has evolved, I think it's become quite clear that
20 if a project were to cancel, there's a very high
21 likelihood Of a successor project behind it. And I think
22 that gives us some large degree of comfort.

23 Now, will it be the same size and the same
24 timeline? Those questions remain. But we are
25 nonetheless -- for a rural site that might be a long

Transcript of Hearing
Conducted on December 16, 2024

97

1 transmission build away from or a rebuild or an increase
2 or enhancement to transmission line for a site that's
3 kind of out of some of the major load zone areas, that
4 does remain to be a risk that we're very much focused on
5 to make sure that we don't have anything that falls back
6 on our member owners.

7 COMMISSIONER TOWELL: Thank you.

8 COMMISSIONER BAGOT: All right. We're getting
9 close to the end of this panel, unless my other
10 colleagues have questions. We got about two minutes
11 left, so if anybody has any final closing thoughts that
12 you want to wrap up in about 30 seconds or less, I'll
13 open the floor. Otherwise, we can break for lunch, I
14 guess.

15 MR. KARANDIKAR: Thank you so much once again.
16 Deep appreciation for hosting us here. I did not hear
17 anybody talk about cybersecurity. But I just wanted to
18 put it on that with all the data centers coming in, the
19 threat landscape has increased tremendously. And as
20 we've -- I've talked about that if the load can be
21 altered up on or off, that could severely impact the grid
22 stability. So that needs to be considered as well.
23 Thank you.

24 COMMISSIONER BAGOT: Thank you.

25 MR. CHUPKA: Yeah, I'll just comment that the

1 last exchange, last few minutes where the lumpiness and
2 the speed and the type of load that data centers
3 represent has -- brings out questions of not only sort of
4 local transmission and distribution planning and
5 investment but regional. And I think that's very
6 emblematic of why data centers need to be considered as a
7 separate type of load so that the system can accommodate
8 these rapid and significant changes.

9 MR. TINJUM: I'd just conclude again by
10 reiterating this moment, period, era of load growth is an
11 important one that does require greater communication,
12 collaboration, transparency among all parties involved.
13 And so DCC, our member companies are here. We're leaning
14 in as an engaged partner and want to be helpful at this
15 moment.

16 So please consider us a resource to the
17 Commission, and we will continue to engage in forums as
18 needed. So thank you.

19 COMMISSIONER BAGOT: Thank you.

20 MR. BLACKWELL: Yeah, very briefly. Thank you
21 for having -- allowing Dominion Energy to represent this
22 issue. And second, about the lumpiness, we are not
23 seeing that today in our service territory with data
24 center load, nor have we seen it historically.

25 So it's very steady load, just based on 10

1 years of metered data.

2 MR. HEWA: Thank you again, and I greatly
3 appreciate the considerations around utilizing market
4 rates and the financial safeguards that I've discussed
5 handling these individual loads from a specific planning
6 perspective and even co-op affiliate models.

7 Thank you again to the Commission. And I would
8 just urge us to be thinking about the capacity needed in
9 the near term -- immediate term and the near term to keep
10 Virginia reliable, affordable, and economically
11 competitive. Thank you.

12 COMMISSIONER BAGOT: Thank you. And thank you
13 all to our Panel 1 participants. I really appreciate all
14 the time you spent with us today and answering all of our
15 questions. So thank you so much for being here.

16 And we will now break until 12:30 for lunch.
17 Thank you very much.

18 (A recess was taken.)

19 JUDGE BAGOT: Alrighty, hopefully everyone
20 had a good lunch. It might have went very quickly, but
21 it's a welcome caffeine break. While I get set up up
22 here, I'm going to ask for the panelists from Panel 2
23 to join us.

24 (Pause in proceedings.)

25 JUDGE BAGOT: All right. Welcome back. So

1 similar to the first panel, I'm going to have everyone
2 do some brief introductions and introductory remarks if
3 you have them, starting from my left and going across
4 that way, and then we'll jump into questions.

5 So starting with you, Mr. Gaskill.

6 MR. GASKILL: Good afternoon, Your Honor.

7 Scott Gaskill, I'm vice president over regulatory
8 affairs for Dominion Energy. I appreciate the
9 opportunity to be here in such an important and often
10 complex topic. So happy to provide our thoughts as
11 well from the utility perspective.

12 So, Judge Bagot, I think you sort of teed it
13 up very well this morning when we talked about sort of
14 three different buckets of categories: One is the cost
15 allocation issue in terms of our various customers or
16 customer classes paying their equitable share of the
17 utility system.

18 The second is the risk associated with those
19 investments. Obviously, we have long-lived
20 investments, 30- to 50-year assets that we're building
21 for new customers as well as all of our customers. And
22 then the third one you mentioned, which I think is very
23 important, is the impact to wholesale prices that the
24 large load is driving, among other things. So I'd like
25 to address each of those very briefly.

1 And so on the cost allocation issues, as I
2 mentioned in my prefiled comments, we do believe that,
3 at least to date, that our current allocation methods
4 do appropriately allocate costs among the various
5 customer classes. And I gave the illustration of our
6 transmission costs over the last five years in that the
7 cost allocated to the residential classes decreased.
8 Those factors back in 2020 were just under 59 percent
9 of our Virginia jurisdictional transmission costs were
10 allocated to the residential class. They're now just
11 under 49 percent, so a decrease of 10 percent in that
12 factor.

13 Now what's driving that is two different
14 things. One, in 2021, we changed our allocation
15 methodology from -- and we heard a little bit about
16 this in the first panel -- from a 1 CP allocation to 12
17 CP allocation. So that's an example of these costs and
18 these allocation methodologies continually getting
19 reviewed every year. And just because we've done
20 something in the past doesn't mean we're married to
21 that. We can continue to review it and change going
22 forward as needed.

23 But then just naturally, the growth in the
24 GS-3 and GS-4 load classes or rate classes has
25 increased over that time, which just naturally is going

1 to reallocate costs to that load class, and you'll see
2 a residential decline of that class at about -- so what
3 you see over the last four to five years from a
4 transmission perspective, residential is actually
5 paying slightly less than they were today than they
6 were in 2020. Of course that comes at a cost where
7 those increased costs are being allocated to is our GS-
8 3 and GS-4 classes, so you've seen an increase in those
9 costs.

10 I think if you expanded that and looked at
11 base rates, residential is paying slightly less. We've
12 had a -- we've had a slight decrease in base rates in
13 2023. You know -- or 2021, triannual.

14 And then in the 2023 biannual, rates were
15 largely flat and rebalancing between generation and
16 distribution. So I think you would see that same
17 similar phenomenon play out and not just in
18 transmission rates, but I provided that as an example.

19 As they say, of course, past performance is
20 no guarantee of future results. And so we are
21 mindful of the high infrastructure cost in the -- that
22 the pace and the scale of the new build roads creating
23 large infrastructure investments. And so it is
24 something we want to continue to review, monitor. And
25 just like I said, when we shifted from a 1 CP to a 12

1 CP, those different allocations and different options,
2 we would continue to review going forward.

3 And let me just maybe skip you a little bit
4 out of order of the impact to the wholesale prices. I
5 view that as probably the single largest driver, the
6 rate increases say of really the next three to five
7 years.

8 Again, from an infrastructure build
9 perspective, I think our current cost allocation
10 methodology largely would take care of that and the
11 fact that the GS-3, GS-4 classes are going to continue
12 to be allocated more and more to those costs. But when
13 we talked about the impact of, you know, energy prices
14 just in supply and demand in the whole PJM region,
15 that's going to be socialized across our system and our
16 fuel factor.

17 When we talked about higher capacity prices,
18 what we've seen as his auction in the '25, '26 auction
19 where prices went from \$29 in megawatt data to \$444 in
20 megawatt data. Those are going mourned by all
21 customers. And so I do believe that that is where
22 you're going to see the highest that we see in nearer
23 term, rate impacts to all customers. And so I'll kind
24 of leave you with that there.

25 So on the issue of stranded cost risk, we do

1 have a number of provisions now that attempt to address
2 that, primarily on the distribution side. We have a
3 contract dollar minimum which ensures that these
4 customers over a four-year period will contribute
5 revenue into the system to pay for the investment to
6 match their distribution costs. So we've got to build
7 a new substation for them, say it's \$30 million. We
8 will ensure that they will be paying at least \$30
9 million into the system over a four-year period.

10 There's also contract minimums on the
11 distribution side. But as I noted in my prefile
12 comments, we do not currently have that on our
13 generation in transmission side of the tariff. That
14 may be something we're going to look to address in our
15 upcoming biannual review.

16 So I will pause there, but again, most of
17 these -- it's a conversation. We are listening as much
18 as anybody in gearing up towards the biannual review
19 which we will file in March where we would expect to
20 make various proposals or recommendations to address
21 any deficiencies that we currently perceive, so thank
22 you.

23 JUDGE BAGOT: Thank you.

24 Mr. George?

25 MR. GEORGE: All right. Good afternoon,

1 Chair Hudson, Judge Towell, Judge Bagot. Thank you for
2 holding this Commissioner-led technical conference and
3 providing the opportunity for Google to present before
4 the Commission.

5 My name is Brian George and I'm the U.S.
6 Federal lead for Google's Global Energy Market
7 Development team. My job responsibilities include
8 establishing Google's energy policy and strategy across
9 the U.S. federal government, the organized electricity
10 markets, including PJM, and working closely with
11 Google's state energy policy and economic development
12 teams to establish coordinated policy and strategic
13 priorities across the states with the focus here on
14 Virginia and mid-Atlantic.

15 In my role at Google, I work across the
16 ecosystems advocating for Google's energy policy
17 priorities in the Commonwealth. Since 2018, we have
18 invested more than \$4.2 billion here in Virginia.
19 While there is no question that lower growth has
20 entered a new phase both in Virginia and nationwide,
21 Virginia continues to be a bellwether for what other
22 states and other regions can expect. As such, Virginia
23 has a unique opportunity to lead in developing sensible
24 policies that fight the climate crisis and able
25 continued economic development, and most importantly,

1 protect consumers.

2 This is a critical and dynamic moment in the
3 industry as demand for electricity increases driven by
4 new large loads such as data centers, reshoring with
5 manufacturing, and the electrification of other
6 economic sectors, the Commission has a critical role to
7 play in ensuring that all Virginians continue to
8 receive safe, reliable, and affordable electric
9 service.

10 As I articulated in my written testimony, I'd
11 like to offer Google's perspectives on a lot of issues,
12 but including clean energy leadership, opportunities
13 for cost reduction, considerations for cost allocation,
14 and the importance of offsetting investment risk
15 associated with demand, forecast, and certainty.

16 And so in that vein, I really appreciate that
17 the buckets that were teed up: the cost, the risk, and
18 the impact to wholesale prices. We think there is a
19 lot of opportunity to work with our utility partners
20 and other partners across the ecosystem to develop
21 frameworks that work well for them, but also enable us
22 to grow in a way that protects customers.

23 As Scott mentioned, we've been doing a lot of
24 thinking in particular around contract demand minimums,
25 increased collateral requirements for new

1 interconnecting customers, all in a way to ensure that
2 our industry is accepting more risk when we're coming
3 to the grid in a way that balances the investments our
4 utility partners have to make.

5 So with that, I'll be short. You all get to
6 hear from me on two panels today, so I won't keep this
7 one long.

8 Google does stand ready to partner with our
9 utilities, other customers, and regulators, to develop
10 workable solutions that continue economic growth and
11 cost effective deployment of clean energy. I do
12 applaud the Commission for your proactive handling of
13 today's conference. Thank you.

14 JUDGE BAGOT: Thank you.

15 Mr. Wilson.

16 MR. WILSON: Good afternoon and thank you so
17 much for the invitation to come here and speak. Yes,
18 I'm James Wilson. I'm a consultant and an economist
19 doing business as Wilson Energy Economics. And my work
20 in the PJM space has mainly been for consumer advocates
21 and environmental groups and in Dominion for
22 environmental groups. But the views I'll express today
23 are my own and not necessarily those of any client.

24 I'd like to talk a little bit about load
25 forecasting, such a critical topic. And I've been very

1 interested in data centers since 2016 when it started
2 to become a huge addition to Dominion's load forecast,
3 hundreds of megawatts at the time, and of course, now,
4 it's thousands. It's hugely uncertain. We've said
5 that and my neighbor, Marc Chupka said that in the
6 first panel.

7 AI is the new demand that is going to be
8 creating this demand. So all out historical data about
9 data centers doesn't tell us anything about AI, so
10 projecting based on historical data isn't going to
11 work.

12 AI, it's the end-uses for AI. I'm going to
13 say their names: Amazon, Google, Microsoft, and Meta.
14 Those are the names that come up over and over and over
15 when we talk about data centers and AI. They are
16 racing and competing to put AI into everything. They
17 believe that's the future. They're competing with one
18 another, and they do not want to lose that race because
19 they didn't have the hardware. So they're building
20 everywhere and anywhere -- I heard it put recently --
21 data centers as they can. So it's hugely uncertain.

22 The final demand for AI-type services. It's
23 hugely uncertain the chips that will produce that. And
24 we're not talking 10 or 20 percent, but you see -- you
25 see orders of magnitude suggested as the possibility

1 for chips getting more efficient.

2 It's hugely uncertain the software that will
3 run on those chips to produce those applications. It's
4 hugely uncertain the power needs for those chips. And,
5 of course, it's hugely uncertain where the next
6 generation of data centers will be built.

7 The first generation was built in Virginia.
8 You are exceptional in that regard. There's no
9 question about it. The next generation, not so clear.
10 You see huge data centers going in Wisconsin and
11 Louisiana and lots of other places, so just huge
12 uncertainty.

13 So what does that mean? To me that means you
14 really need to get an outside forecaster involved to
15 help with this. Somebody who can do that kind of blue
16 sky of what are some of the different ways the world
17 could go over the next 5, 10, 15, years. They would
18 produce multiple scenarios. Each scenario would have a
19 narrative that might be very, very different, and I
20 believe those scenarios would be very, very different.

21 Sitting here right now, I think our forecast
22 of data center load for say, 2032, is probably off by a
23 factor of two. I just don't know which way, two times
24 too high or two times too low. But a professional
25 forecaster would give you those scenarios that then

Transcript of Hearing
Conducted on December 16, 2024

110

1 could run through and say, you know, what happens if we
2 built billions and billions of dollars' worth of
3 transmission?

4 And then we're on this scenario where the
5 next generation of data centers is largely being built
6 in places other than Virginia. Which I consider that
7 definitely one of the -- one of the very likely
8 scenarios simply because Virginia is so overbuilt.
9 You're less than 3 percent of the U.S. in terms of GDP
10 or population, but you got 38 percent of the data
11 center capacity from first generation. It seems to me
12 that out to even be a national security issue that
13 you're so concentrated here.

14 So anyway, that all comes to cost allocation,
15 potential cost shifting. PJM area is a great place to
16 build something very large like data centers because
17 the transmission gets largely socialized over the
18 entire area. You build out somewhere remote -- I
19 mentioned Wisconsin and Louisiana -- you're likely
20 going to have to build the generation to power your
21 data center. You're not going to be able to just kind
22 of let the grid supply you.

23 So cost shifting and of course stranded cost,
24 you mentioned those risks are very substantial. So it
25 seems to me that the approach is in the first instance

1 to call on the data centers to self-provide the
2 reliability they need to the extent they do. Right
3 now, they've all got diesel generation that they would
4 only use for themselves.

5 But if they had clean dispatchable backup
6 generation, then they could become a partner on the
7 grid. And the electric power researched institute
8 referred to how we have historically connected
9 customers as the passive load model which is the
10 costumer comes to the utility, obligation to serve,
11 they have to build.

12 And that was fine for the organic load growth
13 that we've had for many, many decades of many, many
14 small residential commercial customers, load growth
15 following demographic and economic growth. But now we
16 have very large point loads coming on.

17 And one of the nice thing about the data
18 center industry is, like I said, they're trying to
19 place them anywhere they can and there's a lot of
20 flexibility to put more capacity here and more there.
21 They're talking to -- they're looking in Virginia.
22 They're looking in Atlanta, and Chicago, and then other
23 locations. A lot of flexibility, and that means that
24 passive load model isn't a necessity anymore.

25 So, so many more things we can talk about.

1 If data centers -- if very large customers aren't
2 willing to do that to back the spatial generation and
3 they really do demand firm capacity from the grid, then
4 I think next is long-term, firm, take-or-pay type of
5 contracts. Not the kind with minimum bills that we've
6 heard talked about that are really focused on
7 recovering the connection cost, but ones that would be
8 recovering more of that huge investment in generation
9 of transmission that would be necessary to serve them.

10 So with that, I'm sure there's a lot more to
11 say and there will be lots of good questions. You've
12 asked really good questions this morning. I'm sure
13 you'll continue. Thank you for the opportunity.

14 JUDGE BAGOT: Thank you.

15 Mr. Robb?

16 MR. ROBB: Good afternoon. May it please the
17 Commissioners, I'm Jack Robb. I serve as the general
18 counsel and senior vice president of the Old Dominion
19 Electric Cooperative. Thank you for holding this
20 technical conference. Your willingness to lead this
21 conference and bring together the experts appearing
22 before you today is evidence of how important this
23 topic is. And evidence that the Commission's being a
24 leader on the topic of serving large-use customers.

25 When FERC conducted their technical

1 conference last month on large loads co-located at
2 generating facilities, FERC Chairman Phillips
3 recognized the need for stakeholders to approach these
4 issues with collaboration. I hope to convey that
5 spirit of optimism and collaboration in my opening
6 remarks and in responding to your questions today.

7 I'm also mindful that our discussion today is
8 taking place in the backdrop of a national conversation
9 about resource adequacy. When FERC Commissioner
10 Christie pointed the national focus to Virginia's
11 Commissioner-led conference that we are having today,
12 he recognized the need to facilitate service to large-
13 use customers in a way that ensures resource adequacy
14 and fairly allocated costs to all consumers.

15 I'll provide a brief overview of ODEC and
16 then I'll plan to focus on two topics that are
17 important to understand in the framework in which ODEC
18 and its members are serving and plan to serve in the
19 future, these new and expanding large-use customers.

20 Fundamentally, ODEC's remarks today are about
21 consumer protection. ODEC stands ready, willing, and
22 able to serve large-use customers with adequate
23 financial protections. One of those protections is the
24 ability of ODEC and its members to serve large-use
25 customers using market-based rates.

1 The second protection is that large-use
2 customers must provide financial liquidity from their
3 own grid infrastructure development, operations, and
4 wholesale power purchases. I also convey that ODEC has
5 assembled a great team of industry experts, including
6 several former SCC staff members, power supply experts,
7 and accounting liquidity experts. Our team plans to
8 submit thorough and complete post-conference written
9 comments. They and I want to be a resource for you and
10 our staff as we move forward together on this important
11 topic.

12 With that introduction, I offer a brief
13 overview of ODEC. ODEC was incorporated in 1948 as a
14 not-for-profit power -- or wholesale power supply
15 cooperative. We have 11 member distribution
16 cooperatives that serve customers in 70 counties in
17 Virginia, Maryland, and Delaware. Through our member
18 distribution cooperatives, we serve approximately
19 630,000 retail electric meters, representing a total
20 population of approximately 1.5 million people; a
21 million of whom are Virginians.

22 ODEC serves its members power requirements
23 pursuant to long-term all requirements wholesale power
24 contracts. The contracts obligate ODEC to settle and
25 deliver to our owners, and our members to purchase from

1 ODEC all the power they require for the operation of
2 their system with some limited exceptions.

3 ODEC supplies our member's power requirements
4 through a diverse portfolio of resources, including our
5 generating facilities, power purchase contracts, and
6 spot purchases from PJM's energy market.

7 ODEC's generation assets, which we have
8 developed over the last 40 years are detailed in my
9 written opening remarks. They include a combined cycle
10 plant in Maryland, two combustion turbine power
11 stations in Virginia, and diesel generators throughout
12 the mid-Atlantic. We also have power purchase
13 agreements for 350 megawatts of wind and solar assets,
14 and are expanding our renewable energy portfolio.

15 PJM assigns to ODEC a capacity obligation.
16 And our generating fleet and power purchase contract
17 serve as a hedge against ODEC's obligation to purchase
18 capacity from PJM. The fleet also serves as a hedge
19 against ODEC's energy market purchases.

20 ODEC is highly regulated or subject to
21 regulation by FERC. We comply with mandatory
22 reliability standards from NERC and its regional
23 entities including SERC. We're subject to regulation
24 by the SEC as a voluntary non-accelerated filer. We're
25 further subject to numerous federal, state, and local

1 regulations including environmental regulations, but
2 Virginia members are subject to your jurisdiction.

3 In 2023, revenues from sales-to-member
4 distribution and cooperatives totaled approximately
5 \$1.1 million and we had total assets of \$2.2 million.
6 We're rated A-plus stable outlook or equivalent by all
7 three credit reporting agencies. As a strong electric
8 utility, ODEC stands ready, willing, and able to serve
9 large-use customers with appropriate financial
10 protections.

11 I'd likely -- I'd like to briefly touch on
12 two of the protections, first, market-based rates.
13 ODEC and its members are serving large-use customers by
14 providing energy, capacity, transmission, and ancillary
15 services on market-based rates pursuant to the
16 authority granted to us by FERC.

17 The market-based rate is a passthrough of
18 charges from the PJM market to ODEC's members who, in
19 turn, pass those charges to their large-use customers.
20 It's a different framework than ODEC's formula rate
21 which includes cost of and revenues from our generation
22 and power purchase agreements allowing new large-use
23 customers to receive electric service based on ODEC's
24 formula rate, could lead to unjust and unreasonable
25 outcomes.

1 Existing cooperative member consumers who
2 have invested in for decades and generation
3 infrastructure should not have that investment diluted
4 or usurped by a single large customer or proof of new
5 large customers. Thus we must rely on purchases from
6 the PJM market to provide reliable power supply for
7 large-use customers located in our member-service
8 territory.

9 We engage with PJM regularly and have a high
10 degree of confidence in their leadership and staff. We
11 believe many large-use customers prefer this approach
12 as it allows these customers to deploy their own
13 financial or physical hedges to manage risk from
14 exposure to market prices.

15 And any rule-making proceedings before the
16 Commission or on a case-by-cases when evaluating energy
17 service agreements and related tariffs, we ask you to
18 determine that ODEC's member distribution cooperatives
19 retain the right to serve data centers and other large-
20 use customers on market-based rates.

21 This leads me to ODEC's second main point.
22 Large-use customers must provide financial liquidity
23 for their own grid infrastructure development,
24 operations, and wholesale power purchases. Service
25 under market-based rates means ODEC serves as the

1 credit sleeve to the PJM market.

2 When I say credit sleeve, I mean reincur the
3 cost from PJM, pay PJM weekly, and we recover the cost
4 from our members who, in turn, recover them large-use
5 customers. Thus ODEC's financial condition is largely
6 dependent on our member distribution cooperatives
7 satisfying their obligations to ODEC under the
8 wholesale power contracts.

9 A large-use customer that does not provide
10 adequate financial mechanisms to protect against this
11 risks could drive a distribution cooperative into an
12 insolvency and restrict its ability to serve to
13 remaining member consumers. Upon an inability to
14 recover costs, any security provided by a large-use
15 customer may not be sufficient to permit the
16 distribution cooperative to meet its payment
17 obligations to ODEC. As a result, ODEC could be
18 subject to rating downgrades, increased collateral
19 requirements, and liquidity impairments. That would
20 raise rates for all consumers in the ODEC system.

21 Simply put, this creates a cost allocation
22 risk where a cost incurred by a large-use customer who
23 cannot pay, or timely pay, will be distributed by a
24 distribution cooperative to its other members. And
25 critically, if the distribution cooperative cannot meet

Transcript of Hearing
Conducted on December 16, 2024

119

1 its payment obligation to ODEC, then the cost will be
2 paid by member consumers throughout the ODEC system.

3 Various risk mitigation tools exist to
4 address these issues. ODEC groups these tools
5 according to three buckets of cost allocation. The
6 first bucket, which we've talked a lot today, is the
7 cost incurred for the study, development, and
8 construction of new transmission and distribution
9 facilities for large-use customers.

10 The second bucket is cost allocated to a
11 retail distribution cooperative based on the wholesale
12 billing determinant or billing unit set by including a
13 large-use customer's load in calculating that
14 determinant.

15 It's the cost that Mr. Hewa talked about
16 earlier: charges for capacity and transmission that
17 are set by coincident peaks in Year 1 and billed to
18 load in Year 2. If the large-use customer is no longer
19 there to pay the bill in year 2 even though they
20 contributed to the year 1, then the costs are
21 socialized to other members.

22 And the third bucket, which are the costs
23 that can present in existential risk to ODEC, and its
24 members are costs incurred for energy services provided
25 to a large-use customer, especially during sustained

1 periods of high market crisis.

2 So how could we mitigate these cost
3 allocation risks? The first bucket to mitigate the
4 costs for new transmission and distribution facilities,
5 ODEC and its members are working with transmission
6 owners and large-use customers to arrange for the
7 following: 1) Prepayment of estimated study
8 development and construction costs with Truos
9 (phonetic); 2) security for development and
10 construction cost overruns; and 3) security for a
11 project cancelation cost if our load ramp does not
12 realize to the levels forecasted.

13 Some of these costs are not directly
14 allocated to large-use customers, however. But
15 instead, are allocated through the PJM system
16 transmission allocation as Mr. Wilson just mentioned.
17 Some of those costs at the system wide and some of our
18 transmission zone. For the costs, ODEC is open to
19 exploring with the Commission an allocation directly to
20 the large-use customers at the retail level.

21 For the second bucket, costs allocated to a
22 retail distribution cooperative based on a wholesale
23 billing determinant including any large-use customer's
24 load. ODEC and its members are working with the
25 transmission owners and large-use customers to do the

1 following: 1) Identify effective determinants as far
2 in advance as possible; and 2) require sufficient
3 security from a large-use customer in anticipation of
4 the determinant's impact.

5 Finally, for the third bucket, the bucket of
6 cost that could cause an existential risk to ODEC and
7 its members; the cost incurred for energy services
8 provided, especially during periods of sustained prices
9 caused by extreme weather, cyber events, et cetera.

10 ODEC and its members are working with large-
11 use customers, and transmission owners, PJM, and likely
12 FERC, to establish the following: One, shorter billing
13 cycles. I haven't talked about that yet today,
14 critical point. We should synchronize collection of
15 passthrough costs by matching the billing cycles of PJM
16 to ODEC with the billing cycle of ODEC to the member
17 distribution cooperative and the member distribution
18 cooperative to the large-use customer;

19 Two, security requirements for typical
20 consumption of energy capacity and transmission
21 services and are formed readily and easily accessible
22 to the cooperative baseline service collateral
23 security;

24 Three, expedited processes to address
25 disputes with ongoing payments required during any

1 dispute resolution process. Given the size of bills
2 that could occur, delay in payment can create the
3 substantial risk;

4 Four, coordination during economic
5 emergencies such as extreme pricing to reduce load
6 through backup generation, recycling down local
7 operations, or requiring the posting of additional
8 security in the middle of that crisis, originating with
9 the large-use customer to support continued, market
10 power purchases.

11 And lastly, five, mechanisms to ensure that
12 utilities are never at risk of being obligated to
13 continue to deliver and incur the cost of service to a
14 large-use customer in the event of actionable or
15 reasonably anticipated default, nonpayment for
16 financial or physical system emergencies.

17 Many of these risks mitigation rules are
18 being deployed through contracts and related tariffs,
19 but the consumer protection needs here are significant.
20 And ODEC believes regulation will be required to help
21 ensure that contracts are negotiated with sufficient
22 consumer protections; especially terms that apply to
23 financial and operational emergencies involving
24 sustained high prices and when the grid experiences
25 reliability stress.

1 And any rule-making proceedings before the
2 Commission are on a case-by-case basis when evaluated
3 energy service agreements and related tariffs. We ask
4 you to establish appropriate guardrails, consumer
5 protections, and required coordination among all
6 stakeholders.

7 ODEC appreciates the opportunity to
8 participate in this technical conference. I hope to
9 answer any of your questions today. And as we move
10 forward together on this topic, I hope that ODEC can be
11 a resource for you and your staff. Thank you.

12 JUDGE BAGOT: Thank you.

13 Ms. Robb.

14 MS. ROBB: Thank you. Good afternoon, Your
15 Honors. I'm Cliona Robb and I am here on behalf of the
16 Virginia Manufactures Association. We very much
17 appreciate the opportunity to provide the VMA's
18 perspective.

19 The VMA represents the 4,511 factories in
20 Virginia that have historically been the largest
21 electricity consumers in Virginia. These industrial
22 customers account for approximately 239,000 direct jobs
23 in the Commonwealth. VMA looks at all energy policy
24 from four perspectives: affordability, reliability,
25 security, and environmental sustainability. The cost

1 allocation issue being considered by the panel number 2
2 plays a key role in affordability of rights and total
3 cost for industrial customers.

4 VMA members are part of the rate schedule GS-
5 3 and rate schedule GS-4 class that serves -- that also
6 serves data centers in Dominion service territory. And
7 they're part of the similar rate class that serves data
8 centers in APCO's service territory.

9 As indicated by Mr. Gaskill, it is the GS-3
10 and GS-4 rate class that are being assigned a greater
11 proportion of costs related to generation and
12 transmission associated with meeting data center load.

13 Based on this Commission's November 1st
14 status report on the implementation of the Virginia
15 Electric Utility Regulation Act, Virginia is far from
16 being the number one state for affordable electricity
17 rates in the southeast.

18 According to the FCC's 20 peer state
19 analysis, Virginia Investor Utilities rank number 10
20 and number 18 out of 20. That is the status quo for
21 cost allocation of generation transmission and
22 distribution for retail electric customers in Virginia.
23 That's what it's done for industrial customers.

24 VMA looks forward to providing more
25 comprehensive analysis of cost allocation issues in the

1 written comments that Commissioners called for
2 following the issuance of the transcript in this
3 proceeding.

4 At this point, the Commission believes that
5 the Commission has the requisite tools to address cost
6 allocation issues that may arise due to data center
7 load. For instance, you have Dominion's upcoming
8 biannual review that may provide an opportunity to do
9 that for Dominion customers. Also, the VMA notes that
10 NOVEC in its comments for panel number 3 today has
11 indicated that its tariffs provide sufficient authority
12 to address data center issues without having a separate
13 affiliate. And the VMA looks forward to exploring
14 whether electric co-ops already have the necessary
15 tools to address data center issues.

16 The status quo for cost allocation of
17 generation transmission and distribution for all retail
18 customers in Virginia is that costs for facilities
19 located on the customer's premises are generally
20 assigned to the individual customer. And costs for
21 facilities located or off the customer premises are
22 generally socialized, meaning they're spread out
23 amongst all rate pairs.

24 In contrast, cost for generation in
25 transmission located outside -- so the logic behind

1 this approach is that all customers benefit from the
2 existence of generation of transmission facilities. It
3 is not fair, and it would not be affordable for a new
4 customer to pay for an entire new generating facility
5 simply because that new customer's load meant that the
6 system load exceeded the amount supplied by existing
7 generation facilities.

8 Similar logic applies to new transmission
9 facilities. The electric grid, as a whole, benefits
10 from having sufficient transmission facilities. And
11 when a new customer results on the loading on a
12 transmission line exceeding the rating of that line, it
13 is not fair and would not be affordable for the new
14 customer to pay for an entire new transmission line.

15 However, it is undisputable that the -- that
16 the location of renewable energy generation assets to
17 meet the Virginia renewable portfolio standards have
18 and will result in over 12 billion in transmission
19 costs alone by 2029.

20 So the business as usual cost approach to
21 cost allocation is being questioned by some due to
22 Virginia Utilities being faced with large amounts of
23 load being added in fairly short time intervals.

24 There are upsides and downsides to this
25 situation. The upside is that having new load allows

1 fixed generation of transmission costs to be spread out
2 amongst a larger customer base. The downside is that
3 adding a significant amount of new generation and a
4 significant amount of new transmission in a relatively
5 short period of time results in higher amounts of costs
6 being spread out.

7 So regarding the potential up-turners to
8 current rate design and cost allocation, VMA does not
9 believe that any drastic departure from the current
10 rate design of cost allocation is needed. Basic
11 principles of rate design that were discussed today in
12 Panel Number 1 are sufficient when coupled with the
13 expertise within the Commission to properly address any
14 alternatives to the current rate design in cost
15 allocation.

16 The VMA is very interested in learning more
17 about the pros and cons of how other states have
18 addressed these issues. In this panel, Google's
19 written statement refers to a proposed settlement being
20 considered by the Indiana Utility Regulatory
21 Commission, which the VMA believe refers to cause
22 number 46097 before the Indiana Commission.

23 For instance, we'd like to know how does this
24 proposed settlement impact industrial customers in
25 Indiana? And does it provide any remediation for the

1 possible issue of stranded transmission costs that
2 Commissioner Towell raised in his questions for panel
3 number 1?

4 But above all, with any solution that is
5 considered by the Commission, we ask that you first do
6 no harm to existing customers, like the industrials
7 that are already being -- experiencing increased costs
8 due to data center load. Thank you.

9 JUDGE BAGOT: Thank you.

10 Mr. Kroboth?

11 MR. KROBOTH: Yes. Thank you, Your Honors.
12 Like my colleagues, I wish to thank you for your
13 leadership on this topic before you today. My name is
14 Joe Kroboth. I am a Deputy County Administrator for
15 Loudon County where I oversee community development
16 programs.

17 My written testimony has been submitted and I
18 would like to paraphrase those comments into three
19 specific issues for the Commission to consider as you
20 develop your strategy for large-scale or hyperscale
21 electric customers.

22 The first relates to the allocation of
23 infrastructure cost to high-usage entities. Currently,
24 a significant portion of new electric utility
25 infrastructure costs are distributed across all rate

1 payors regardless of their usage. This structure could
2 disproportionately impact residential or small business
3 rate payors when considering the hyperscale user and
4 the significant infrastructure investments that will be
5 needed to sustain their growth.

6 I propose the SCC revisit the framework to
7 ensure that hyperscale users such as data centers bear
8 a greater share of the infrastructure cost they drive.
9 This adjustment would promote fairness and reduce the
10 burden on ordinary customers.

11 Second is mitigating the impact of rapid rate
12 increases. Over the past several years, nationally,
13 residential electric bills have experienced steep
14 increases with examples such as the 53 percent rate
15 rise observed in Ohio being a cautionary tale for
16 Virginia.

17 I recommend the SCC review mechanisms to
18 limit rapid rate increases, including implementing caps
19 on phase adjustments. These measures could provide
20 rate pairs with predictably and protection against
21 excessive financial strain.

22 And finally, addressing aesthetic and
23 environmental concerns of new generation and
24 transmission infrastructure expansion. The expansion
25 of unsightly overhead infrastructure has been a growing

1 concern for localities.

2 I urge the SCC to require utilities to
3 priorities undergrounding for developed communities or
4 alternative solutions such as reconduct or -- and
5 voltage conversions to increase capacity that would
6 minimize the visual and environmental impacts of new
7 infrastructure projects. Such initiatives would not
8 only enhance community esthetics but also improve
9 resilience against weather-related outages.

10 I do wish to thank the Commission again for
11 your leadership on this important topic and to state
12 that representatives from the localities across the
13 Commonwealth are available to assist the SCC as you
14 might deem necessary.

15 JUDGE BAGOT: Thank you.

16 Thank you all for those opening remarks.

17 So jumping into questions, I'm going to kick
18 us off. I'll start us off with one which has been
19 touched on a little bit in everyone's opening remarks
20 but I'm going to ask it again and see if I get a little
21 -- a little more in depth here.

22 So I wanted to start with looking at the --
23 one of the conclusions that was made in JLARC's recent
24 report that was issued with respect to cost allocation.
25 So I'm going to try and summarize it, but I'll

1 summarize it poorly.

2 So the conclusion was up to date, our current
3 cost allocation seems to have been working
4 appropriately with respect to GS-3 and the GS-4
5 customer classes.

6 Going forward, there seems to be a little bit
7 more uncertainty raised by the JLARC report as these
8 larger investments are made in generation and
9 transmission. The JLARC report suggests that this cost
10 allocation may no longer result in fair and equitable
11 costs among data center customers and non-data center
12 customers, or between the GS-3 and GS-4 classes and
13 other customer classes. So at a high level, I would
14 like your thoughts on whether you agree with those two
15 conclusions reached by the JLARC report.

16 And I'll throw into the mix an additional
17 thought, which is we've heard a lot today about -- and
18 in the prefiled comments -- about an interest in
19 market-based rates to serve data center customers. To
20 the extent that data center customers are able to avail
21 themselves of market-based rates more readily going
22 forward, and then may no longer be part of the GS-3 and
23 GS-4 customer classes, do we risk additional cost
24 shifts, or a lack of, you know, matching costs with
25 costs causation as a result of more data centers moving

1 in under a market-based rate paradigm? So hopefully,
2 all that makes sense.

3 Go ahead, Mr. Wilson.

4 MR. WILSON: Yes, great question. And, in
5 fact, I wish I already addressed it in my opening
6 comments. We've gone through a long period when there
7 was excess capacity in PJM, and that's a time when
8 capacity prices were low, energy prices were rather
9 low.

10 In that environment, new customers are very,
11 very welcome. They share in the costs of that -- the
12 fixed costs of the capacity. And they don't have that
13 much impact on prices. So that's kind of where we were
14 as of now until, you know, we've got a high price that
15 happened in the recent auction.

16 Going forward, now that we have some coal
17 retirements, and now it appears we have about the
18 system we need for the current customers that we have
19 right now, especially if we put that coal back into the
20 auction it looks a little better. But when we have the
21 system that was built and paid for by the current
22 customers, and it's kind of the right size, when
23 somebody really, really big comes in and says, Hey, I
24 want service, we're going to have a build something
25 incrementally.

1 And that -- I agree with the JLARC report
2 that that raises some questions. And the analogy I
3 like is to the natural gas industry that FERC has kind
4 of got right. If the power industry's been really a
5 hard nut to crack, I think there are natural gas
6 policies at work for decades. And there, if the system
7 is kind of currently built for the current customers
8 and fits them well, and some customers want incremental
9 service, they go to the pipeline, the gas pipeline, and
10 the gas pipeline says, Okay, I'll see what I can do,
11 and I'll have an open season.

12 The gas pipeline holds an open season and if
13 enough customers sign up for the expansion to pay for
14 it through like 10- or 15-year contracts, typically,
15 then the pipeline will say, Okay, I'm going to go
16 forward with this, file it with FERC. FERC says it's
17 needed. Because it's got customers, it gets built and
18 current customers are pretty much unaffected by that.

19 So cost causation, as we have huge
20 incremental costs to meet this highly uncertain
21 incremental load, it may be appropriate to revisit
22 these questions about cost allocation. Thank you.

23 JUDGE BAGOT: Mr. Gaskill?

24 MR. GASKILL: Thank you.

25 So let me start the JLARC portion of your --

Transcript of Hearing
Conducted on December 16, 2024

134

1 of your question and then I'll get to the MBR. So I
2 think largely we do agree with the conclusions of
3 JLARC. And I think that's consistent with my statement
4 there that, to date, we did believe that the current
5 cost allocation methodologies are covering in, and data
6 centers are paying their cost of service.

7 But as I said, looking forward to the future,
8 we do have -- I mean there are going to be cost
9 pressures going forward. So if you look at a JLARC,
10 kind of, conclusion on that that, again, to date
11 they're paying their cost of service. But they
12 identified, I think, three areas where there will be
13 cost increases due to a -- due to load growth that may
14 be passed onto other customers.

15 And so one is just the amount of new
16 generation and transmission that will have to be built
17 to serve them. I think that that is -- that is self-
18 evident. Again, I think largely our current allocation
19 methodologies take care of that. I think mainly what
20 might be different in the future from what has happened
21 in say the last five years is two things.

22 One is the cost of infrastructure is just
23 naturally increasing. I mean transformers cost more,
24 land cost more, labor costs more. So just the cost to
25 build has increased significantly over the last five

1 years.

2 And two, there is less -- I'll call
3 it -- head room or margin in the system anymore. You
4 see PJM reserve margins tightening. So that means
5 every new increment of load is going to require
6 additional generation. It can't be absorbed into the
7 existing capacity system.

8 You see something similar on transmission.
9 You see something similar on distributions where each
10 of these new large load connections will require a
11 substation. So any slack or margin in the system has
12 been consumed for lack of better word. So that will
13 drive additional infrastructure costs going forward
14 that maybe we hadn't seen in the last, say, five to ten
15 years.

16 And then we get to, again, the impact on the
17 wholesale prices. So things that we are doing or as
18 that we can do has a vertically integrated utility.
19 And you look at our IRP, we attempt to, and we have for
20 years, we want to be relatively balanced in our
21 generation and load so that we are not overly dependent
22 on the market. And that reduces market volatility in
23 and of itself. It's never going to be perfect.

24 We are net purchaser of both energy and
25 capacity. So for that open short position, we are

1 subject to the -- to the ebbs and flows of the market
2 which, of course, now we've seen significantly increase
3 recently. But to the extent that we can be relatively
4 balanced as a vertically integrated utility and have
5 our generation match our load, then you're less subject
6 to the volatility of that market.

7 That also brings me to the market-based rate
8 question. That is also, in my view, a way to hedge
9 against from our system cost perspective, cost and
10 revenues, hedge against the volatility of market
11 prices. And in our current schedule, MBR -- so it's a
12 generation-only component meaning for distribution and
13 transmission they would pay the same as they would as a
14 GS-4. But for the generation component of their rates,
15 they would pay whatever the energy of the LMPs are --
16 if they had LMP -- and then whatever the capacity price
17 is for their -- for their 5 CP demand.

18 So it becomes an effective hedge for all
19 customers because as energy prices go up, of course
20 that -- they will be paying more into the system. And
21 so that becomes a hedge against our -- you know, any
22 extra they're paying goes into our fuel factor
23 currently.

24 So that would, as market prices go up, of
25 course our fuel prices go up, but they are paying more

1 into the system which then counteracts that. So it's a
2 very effective hedge against our purchase power cost
3 but it's for energy and capacity. So we, again,
4 probably coming to a biannual review near you, but
5 would be proposing to extend that market-based rate
6 schedule.

7 JUDGE BAGOT: Thank you.

8 Mr. George?

9 MR. GEORGE: Yeah, so I think to the question
10 on JLARC, you know, looking at everything that went
11 into the assumptions in forming that recommendation in
12 JLARC, I think it's difficult to argue with that
13 outcome. Clearly, as we've heard and as we're seeing,
14 we're seeing a level of incremental investment in the
15 system to serve our load we simply haven't seen in
16 years. And so I do think it's fair game to think about
17 what those policies need to look like moving forward.

18 I would say though -- and this goes back to
19 the -- to the assumptions within JLARC and this gets to
20 a comment Mr. Wilson made -- it is critical that we get
21 the input to the forecast right. And I think this was
22 talked about extensively this morning, but the
23 infrastructure signals that are being sent either by
24 PJM's markets or through integrated resource planning,
25 those signals are only as good as the forecast that

1 underlie them.

2 And so I think this really does go back to
3 the point around more stringent upfront and over the
4 term of the contract financial requirements on the
5 large-load entity coming to the system. And so I think
6 if there's a way that we can reduce the amount of risk
7 being placed on the utility and their customers for the
8 investments to serve our load, I think that mitigates
9 some of the uncertainty and helps address some of the
10 cost allocation concerns.

11 And so the other point on this is that we've
12 talked a lot about cost allocation, and we'll do so for
13 a long time. But before we start to think about how we
14 might need to change allocation of costs, we need to
15 think about cost reduction opportunities, right? There
16 is a lot out there today that I talk about in my
17 testimony that can really lead to meaningful benefit in
18 the near term at a cost that's far lower than investing
19 in new infrastructure.

20 To be clear, we will need new infrastructure.
21 I'm not suggesting that we delay that bill. But what
22 we should be doing is maximizing every bit of the
23 existing infrastructure we have today. That is through
24 things like demand response, increased flexibility.
25 Right?

1 It's also through investment in energy
2 efficiency. That can occur well beyond the fence line
3 of the data center facility, and we have examples that
4 show how we've done that. Right? And so I think,
5 again, looking at where we're heading, we do see a
6 significant amount of infrastructure required. Let's
7 focus on minimizing the cost of that infrastructure
8 deployment and then turn to cost allocation.

9 The final point that I would make, and this
10 goes to the -- to the retail choice discussion. So as
11 a customer in Virginia right now, we do have accounts
12 that are served both by the incumbent utility, but we
13 also have accounts that are served by a third party
14 generation supplier. I think having both of those has
15 served as a bit of a hedge for us internally. It's
16 also managed us to more aggressively go out and procure
17 the types of resources that we want to serve our load
18 going forward. Right?

19 I think we do see the need for increased
20 partnership with our utility partners to make sure
21 we're investing in the right resources going forward.
22 But I would add on the risk point, there are pretty
23 significant provisions that exist in code today. So
24 for example, if you're a shopping customer, you have to
25 give the utilities significant notice before you come

1 back to the system.

2 I think -- I think we would want to see those
3 type of protections remain in place as a way to avoid
4 shifting between the two types of customer classes.
5 Thank you.

6 JUDGE BAGOT: Thank you.

7 Mr. Robb?

8 MR. ROBB: Thank you.

9 So with respect to the transmission cost --
10 and I certainly want to echo what Mr. George said about
11 trying to reduce cost in total. Now ODEC's members,
12 and their member owners, are largely a taker of
13 transmission costs. We own 110 miles of transmission
14 line, the least ensured, but, you know, we are a
15 transmission customer of Dominion.

16 My understanding is that, you know, on the
17 sort of low side of the transformer, right, you've got
18 new interconnection cost and those could be directly
19 allocated to the large-use customer. There could be
20 some excess facilities that could be constructed. They
21 would also be allocated to the large-use customer.

22 But everything on the high side of the
23 transformer is going to be part of the PJM supplemental
24 process transmission allocation. And for, you know,
25 the, sort of, interstate highways, the 500 KV lines or

Transcript of Hearing
Conducted on December 16, 2024

141

1 the 745 KV lines that we're starting to talk about,
2 they're going to be allocated PJM line.

3 And then there's a group of costs that are
4 going to be allocated throughout the Dominion
5 transmission zone. If we're thinking about upgrading
6 the entire 115 KV system to 230 KV, all of those costs
7 are going to flow through all of ODEC's customers, both
8 under the formula rate and under a market-based rate
9 passed through for large-use customers.

10 We're open to exploring ways to identify
11 costs that are directly attributable to data center
12 customers or other large-use customers. And to start
13 to think about, you know, how those costs could be
14 allocated specifically.

15 I agree with Ms. Robb. There are some
16 general benefits, but I don't think it's a hundred
17 percent pass through of the cost allocation. Probably
18 some reliability gains when you're upgrading the system
19 like that.

20 You know, both when it comes to transmission
21 costs -- and I kind of look at our financial
22 projections headed out, you know, for ODEC's balance
23 sheet, transmission costs are a large future cost
24 increase in some things that we really want to work
25 hard without all and FERC to manage.

1 Sort of moving from transmission into
2 capacity and energy, and I'll echo Mr. Gaskill's
3 comments. We, as a utility, try to balance for
4 capacity our load in our generation. And we've worked
5 for 40 years to create this asset-based that really
6 detects the capacity.

7 When PJM recently ran their capacity
8 auctions, you know, thankfully, most of our members and
9 member owners were highly hedged in that capacity
10 market. Some 90 percent of our capacity obligation is
11 made up from our generation resources. And now sort of
12 allowing the few large-use customers that come in and
13 take that benefit, we think that that would be unjust
14 and unreasonable outcome.

15 So pointing those customers directly to the
16 market, allowing them to use the financial hedges, and
17 relying on the diversity of the PJM fleet, we think
18 that that's the right answer for new customers locating
19 in Virginia.

20 And then, of course, with respect to cost
21 allocation risks and, you know, we applaud JLARC and
22 Mark and others who spent a lot of time on that report.
23 They engaged with us, and we engaged with them, and we
24 thought that outcomes and recommendations were
25 outstanding and appreciate that.

1 One of the cost allocation risks that is
2 magnified given new extreme weather, you know, the
3 increased potential for cyber-attacks, the resource
4 scarcity that PJM is predicting as soon as 2027, you
5 know, where you have potential for huge energy bills,
6 and defaulting end use customers under our existing
7 framework, the cost allocation mechanism is to shift
8 that to other costs, right?

9 We operate at cost recovery. The only way
10 that I can recover cost, ODEC can recover the cost is
11 from our other members. So we don't think that the
12 current framework without additional regulatory
13 guardrails is sufficient to protect Virginia consumers.

14 JUDGE BAGOT: Thank you.

15 Ms. Robb?

16 MS. ROBB: Commissioner Bagot, you talked
17 about JLARC saying that the cost is being assigned to
18 GS-3 and GS-4, and so right now that works out fine. I
19 do want to stress to the Commissioners that there's not
20 just data centers on GS-3 and GS-4. There's other
21 customers including industrial customers, so don't
22 think that, Well, fine if most of these costs are going
23 to GS-3 and GS-4, problem solved. It's not. The
24 industrials are really asking you to focus on that
25 point.

1 And I would join in Google's response that
2 give customers the choice as to how much risk they want
3 to take on. I don't think that hurts utilities. I
4 think it helps utilities. If customers want to shop,
5 go out, they have -- they have a five-year stay out.
6 The utilities can make them stay out for, you know,
7 five years' advanced notice.

8 I think there's more than sufficient
9 protection for utilities with that 5-year stay out
10 provision and I think that it takes the stress off.
11 That utilities don't have to build a bunch of new
12 generation if customers just have decide to take the
13 generation risk upon themselves either through a sleeve
14 with the utilities through market-based rates or simply
15 going through third party suppliers.

16 JUDGE BAGOT: Thank you.

17 Mr. Kroboth?

18 MR. KROBOTH: Thank you, Your Honor.

19 I have no reason to question the JLARC
20 analysis suggesting that data centers are covering
21 their own fair share. But I would caution that our
22 current state may not necessarily be consistent with
23 our future state. And JLARC also suggested that
24 between 16 and \$18 billion of additional transmission
25 line investment is needed by the year 2040.

1 Also, they indicated that new transmission
2 facilities, in order to meet the demand, will need to
3 open once every 1.5 years to meet that demand. So
4 JLARC has suggested that a concept where data centers
5 should be their own customer class, and I believes
6 that's worthy of your evaluation.

7 Also, the Commonwealth is not necessarily a
8 one-size-fits-all when speaking of this issue. So in
9 Northern Virginia, the system that we have is not
10 adequate for our existing customers. We have
11 sufficient capacity, but we have reliability
12 nonconformance problems that are causing Dominion
13 Energy Virginia to make significant investments to meet
14 those reliability standards.

15 So as data centers grow throughout the
16 Commonwealth, so will come those potential needs to
17 meet the reliability standards for PJM on their
18 existing infrastructure and need to operate that.
19 Thank you.

20 JUDGE BAGOT: Thank you.

21 JUDGE TOWELL: I have a quick follow-up
22 question to Judge Bagot's when it comes to the JLARC
23 study. I agree that I thought the JLARC study was
24 quite well done. And, frankly, in a relatively quick
25 turn around even with the 11 or so months that --

1 sorry, fewer than that -- that they completed that
2 task. And I appreciate you all providing your
3 perspectives on that report.

4 The flip side of that is, you know, no one
5 group, even the experts that were working on the JLARC
6 report, can get everything right given their broad base
7 of just what they have to deal with from one day to the
8 next.

9 So what in the JLARC report to the extent
10 that you have kind of gone through it in depth, do you
11 believe maybe either have gotten it slightly wrong or a
12 misunderstanding, a misalignment? Or any other aspect
13 of it that you think would be important for the
14 Commission and just the general public to be aware of?

15 Ms. Robb?

16 MR. ROBB: Yeah. I think that their
17 discussion of collocation, I think, could have
18 benefited from talking to parties that are already
19 doing that. VMA members are doing a lot of that
20 already and were, you know, a little surprised to see
21 that written up but without, kind of to our knowledge,
22 our input on that. So I think the collocation
23 discussion could have been more informed.

24 And again, I don't -- I think they were more
25 critical of competitive supply than I think is

Transcript of Hearing
Conducted on December 16, 2024

147

1 warranted. I see competitive supplies as solution as a
2 possible way that will alleviate stress on the system
3 rather than create stress on the system.

4 JUDGE TOWELL: Thank you.

5 Mr. Wilson?

6 MR. WILSON: Oh, sorry. I think it was --

7 JUDGE TOWELL: You're right. Sorry, go
8 ahead. Mr. Robb.

9 MR. ROBB: Well, we're all too polite here in
10 Virginia.

11 There's been some discussion of Virginia's
12 Clean Economy Act in the JLARC report as it relates to
13 elective cooperatives. And while portions of the
14 Virginia Clean Economy Act does not apply for elective
15 cooperatives, the mandatory retirement of fossil-based
16 resources in 2045 to 2015 most certainly does. And as
17 we plan for new generation of assets, that's something
18 that we focus on. I'm not sure if the report got that
19 part exactly right.

20 JUDGE TOWELL: Thank you.

21 MR. WILSON: Yeah, just a couple things in
22 there come to mind. I've got some notes somewhere
23 else. But one, there was some suggestion that demand
24 response for data centers would maybe only be a small
25 fraction. I think there may have been somewhere else

1 where they've talked about the possibility of data
2 centers having backup generation that was fully
3 dispatchable.

4 But all the -- all the data centers have
5 diesel backup, hundred percent, because as it's been
6 suggested, they want total reliability for their
7 customers. But if that backup generation is a clean
8 fuel dispatchable, then that data center is potentially
9 a hundred percent dispatchable from the grids
10 perspective. It can run its generation for a hundred
11 percent. So it seems like they might have kind of
12 undervalued that a little bit.

13 And then the only other thing I'll mention
14 that kind of was a chuckle for me is where it says,
15 stranded cost, in the JLARC report, it often says,
16 Stranded costs recovered from customers. And I'm like,
17 Wait, that's not what a stranded cost is. A stranded
18 cost is a cost that is stranded. Typically, a stranded
19 cost is one that stays with the utility, who probably
20 should have signed a contract with somebody in order to
21 not get stuck with those stranded costs.

22 And so that brings me back to what I think is
23 one of the greatest things that you could do is to make
24 is clear whether, you know, the utilities are going to
25 be permitted to recover these costs if they get

1 stranded. Because if you say, no, they will go back to
2 the data centers and say, Look, I'm sorry. You know, I
3 can't take this risk. You're going to have to either
4 have dispatchable backup generation or sign a long-term
5 contract with lots of skin in the game. And that would
6 also improve our load forecast because I suspect quite
7 a few of the projects might shrink or go away if they
8 were required to either be self-providing reliability
9 or to have serious skin in the game. Thanks.

10 JUDGE TOWELL: Real quick before you go.

11 Mr. Wilson, you -- this is the second thing
12 you refer to, I believe, a clean, dispatchable
13 generation. Could you just, for the benefit of
14 everybody, explain exactly which forms of generation
15 you're referring to?

16 MR. WILSON: Well, the -- in the industry
17 talk, they talk about renewable natural gas, for
18 instance. It could be just batteries, hydrogen
19 someday.

20 JUDGE TOWELL: Okay.

21 MR. WILSON: Maybe for the meanwhile, natural
22 gas. I mean that would be better than -- yeah, natural
23 gas would be, kind of, permitted in the -- in the near-
24 term just to get us from here to wherever.

25 JUDGE TOWELL: Thank you.

Transcript of Hearing
Conducted on December 16, 2024

150

1 Mr. Kroboth, I believe you echo.

2 MR. KROBOTH: Thank you, Your Honor. First,
3 I would offer my compliments to JLARC on what I believe
4 was an excellent study based on their research. And I
5 believe it creates a very road map for the general
6 assembly, moving forward, as the Commission and the
7 general assembly attacks this issue.

8 One particular issue that I was very glad to
9 see is a recommendation where JLARC suggested that the
10 general assembly clarify the authority for utilities to
11 delay but not deny connection to their system. I
12 believe that that is an effective tool. I believe we
13 heard Mr. Blackwell made reference to that, how
14 customers ramp up over time. And I know that that tool
15 used is widely and loudly as we attempt to catch up
16 with our infrastructure.

17 So the market is reacting to that delay. In
18 regards to your question about -- or comment about
19 onsite generation, we are seeing new data center
20 developers build their own on-site complete generation
21 using gas turbine generators coupled with diesel backup
22 generators for those to -- so they can bring that data
23 center online in advance of even being connected to
24 Dominion Energy.

25 JUDGE TOWELL: Thank you.

1 JUDGE HUDSON: So, Mr. Kroboth, if I can just
2 start with you. But I also would like to see if some
3 of the other panelists would like to respond to this
4 question.

5 You talked a lot about the separate rate
6 class and so I think what would be helpful for me is if
7 you are able, just kind of describe a little bit more
8 of what would the criteria be for determining that
9 class responsibility? And also, are the ways to adjust
10 the restore to kind of insulate the disproportionate
11 cost increases?

12 MR. KROBOTH: Thank you, Your Honor. I do
13 not want to profess to the Commission that I'm an
14 expert in rate analysis. But having conducted my own
15 research on this issue, it seems to be a common issue
16 that comes up across the country and it's reiterated in
17 the JLARC report as well.

18 I believe creating that separate customer
19 class and define what that threshold would be whether
20 it's 25 megawatt, 50 megawatt, 100 megawatts or more,
21 would help to distribute those costs.

22 MR. GEORGE: Yeah, no, thank you for the
23 question. So I mean I think a couple thoughts. Your
24 know, first off, I think there has already been
25 discussed several different ways that we can start to

1 think about a more appropriate balancing of risk moving
2 forward. But I also just want to be very clear that,
3 you know, in our view we do see a industry-specific
4 rate class as discriminatory.

5 I think we have seen proposals elsewhere,
6 both at the state level and at the federal level, that
7 have been rejected on the grounds that they are
8 discriminatory. Right? The instances that we have
9 seen have tied cost allocation in the form of a rate
10 class to a specific customer based on the use of
11 electricity that that that customer is demanding.

12 Again, that -- that's not how we have seen
13 rates structured ever. And our concern is that if we
14 start to go down that road, that is a significant
15 departure from sound utility rate-making practices that
16 we have seen to date. Right? And once we start going
17 down that road, it does become a very slippery slope
18 for how we can stop. Right?

19 If we assign it to one particular industry,
20 how do we not assign it to another? And so I think
21 while it is appropriate to have the conversation,
22 right, about whether or not we should consider an
23 additional rate class, I just want to be clear upfront,
24 that is our perspective.

25 Second to that, again, just to be clear, if

1 we're going to have discussion about a separate rate
2 class for purposes of cost allocation, that should
3 occur in the appropriate venue which in our view is in
4 a rate case or some formal proceeding before this
5 Commission.

6 So with that said, I would also note within
7 the E-3 report that was part of the broader JLARC
8 analysis, there is a slide -- 109, if you make it there
9 -- that has about seven different ways to impact rates
10 moving forward. And so this is through cost allocation
11 adjustments within the current framework, a weight list
12 for service that I think my fellow panelists have
13 mentioned, additional service commitments through
14 increased financial requirements that we've talked
15 about.

16 But what's interesting about the graphic --
17 and I have it on my computer. I'd show you, but I'm
18 not connected -- it's broken down in a fairly
19 straightforward way. And I think what's telling is
20 that when we start to get into a more direct discussion
21 of cost allocation, right, that tends to be kind of the
22 last resort. Right?

23 There's -- everything in the middle offers
24 potential benefits and additional tradeoffs to other
25 customers or other participants in a way that that may

1 not. And so I think there's -- that's all an effort to
2 say there are several things that we can and should be
3 considering before we get to that point.

4 And while I have the mike, I do want to go
5 back to a comment. This is in response, Judge Towell,
6 to your last comment.

7 I think one thing that JLARC -- and this is -
8 - this is not a criticism, a mere observation. The
9 JLARC study assumes a static environment. Right? It
10 assumes there will be no regulatory change. There will
11 be no market price change. There will be no other
12 changes that could impact development in going forward.

13 I think we all recognize that's not the case.
14 We are price sensitive business customers. We respond
15 to market signals and so do our peers. And so it's
16 hard to say how that could have been done differently
17 but I just want to caution that those are static
18 results, and we do change our behavior based on market
19 conditions, something to consider.

20 MR. GASKILL: I'll just add to that a little
21 bit. I largely agree with what Mr. George said.
22 Excuse me. So the -- sort of the framework of creating
23 a separate class, a new rate class going forward, a lot
24 of pros and cons there. A lot of different levers we
25 can pull that are somewhat interrelated that you've got

1 to think about.

2 So I think the first thing we would start
3 with is what is the purpose if we are going to go down
4 in creating a new rate class? Like what problem are we
5 trying to solve and I think you start there. So if the
6 problem we're trying to solve isn't -- and I can see a
7 couple of -- couple ways to go here -- is the
8 incremental costs that -- to usurp the new load.

9 So typically, and I -- and I would agree with
10 Ms. Robbs comments. We typically don't direct assign
11 cost on an incremental basis. Everybody pays their
12 share of system. So customers today benefit from the
13 nuclear power plants that were built in the 80s and so
14 forth.

15 So we don't typically direct assign on an
16 incremental versus average cost basis. Where we might
17 direct assign is if there is infrastructure that only
18 that customer or only that customer class is using or
19 benefiting from. So maybe a good example might be a
20 substation, so I'm building a new distribution
21 substation to connect this new customer. For intents
22 and purposes, they're the one that's using it. That
23 might be a category where you directly assign.

24 Generation, much more difficult to do that.
25 Everybody kind of pays their share of the system.

1 Transmission, maybe somewhere in the middle. There's
2 probably some regional-type projects everybody's
3 benefiting from. There might be some -- Mr. Blackwell
4 mentioned, you know, an example where I'm going to
5 build a half-mile line to connect a new data center.
6 That's kind of somewhere in the middle.

7 So but that's -- when we think about direct
8 assignment, that's where we're usually going. Not on
9 an incremental versus average basis, but who's
10 benefiting from that particular resource. So are we
11 creating a separate rate class to direct assign costs,
12 yes or no?

13 The other, I think, sort of, thing to talk
14 about is, again, data centers are part of our GS-3 and
15 GS-4 classes. What effect is that having on the
16 industrials, the non-data center customers within the
17 GS-4 class? So, as I mentioned, just taking
18 transmission as an example, residential's been flat to
19 even decreasing while the GS-4 transmission costs have
20 been increasing. So if you're an existing industrial,
21 you have been -- you're seeing higher transmission
22 costs over the last four to five years.

23 So what effects -- if we broke out, untangled
24 the GS-3 and GS-4 rates or -- into a separate -- what
25 effect does that have on various customers? So that's

Transcript of Hearing
Conducted on December 16, 2024

157

1 something to really consider.

2 And what you don't want to do and, you know,
3 I tend to agree with Mr. George. We typically would
4 not create a separate class based on a particular
5 industry or particular end use. We typically look at
6 their load characteristics. So do you create over a
7 certain size, over a certain load factor?

8 And so how you slice and dice that becomes
9 very important because you could end up pulling -- and
10 there's a lot of industrials that look like data
11 centers. They're running 27/7 operations, three
12 shifts, they have very high balloon factors, very
13 large. So how do you sort of slice and dice that new
14 road -- load class, rate class to not adversely affect
15 them and it's sort of the do no harm, so.

16 The other options are through contract
17 minimums, through rate design, through other mechanisms
18 that, I think, can get largely to a similar place
19 without having to create separate rate classes. But I
20 think those are all options on the table, and as I
21 said, there all levers that you can pull that affect
22 each other. So you kind of -- you wouldn't want to do
23 one in isolation over the others, so.

24 JUDGE HUDSON: Thank you, Mr. Gaskill.

25 All right. Mr. Wilson?

1 MR. WILSON: Yeah. I want to respond to Mr.
2 George's talk -- discussion of discrimination. I agree
3 with you so -- on so many things. But this is one
4 where I really think discrimination, yes; undue, not
5 really, if you created a separate rate class for the
6 data centers.

7 First of all, the aggregate numbers are so
8 huge. And the numbers for other very large loads,
9 industrialized manufacturing, or something like that,
10 are by contrast just tiny. Of the load -- of the large
11 load forecast that PJM received this fall, 97.5 percent
12 of the megawatts was data centers. The other 2.5
13 percent was a little bit of electrified manufacturing
14 or poor electrification. So it's the data centers that
15 have come on so suddenly in just a couple of years and
16 are raising all these questions of how are we going to
17 build them.

18 Secondly, in terms of economic development,
19 we've heard that data centers represent economic
20 development. But when you look on a -- on a per
21 megawatt basis, the amount of economic development
22 from, say, an electrified manufacturing facility, is
23 much, much higher than a data center. The one thing we
24 can criticize the data centers with is creating a lot
25 of traffic, okay?

1 Third, as I mentioned before, the data
2 centers are being built by the -- especially a few
3 large parties in various different areas and if they
4 can't get the power here, they're going to build it
5 there. So there really is some flexibility of how fast
6 they move in different places. And that creates the
7 opportunity that if you were to require them to have,
8 you know, renewable backup generation or to sign a
9 long-term contract, they might do it or they might just
10 kind of shift their next round somewhere else, but it
11 wouldn't be a horrible thing to do.

12 Whereas, if you did that to an electrified
13 manufacturing facility, you'd hate to lose it because
14 of all the jobs that it would bring into Virginia. So
15 you might push the data centers around a little bit,
16 but you probably wouldn't want to do that to the
17 manufacturing.

18 And then the other thing is, is just that the
19 data centers are so uncertain. If a electrified
20 manufacturing facility chooses a location in Virginia,
21 they probably chose it based on many characteristics
22 including power. But they're probably really going to
23 do it, you know, once they've got the land and they're
24 starting to build. Whereas the data centers, the
25 future of them is much more uncertain.

1 JUDGE HUDSON: I see a rebuttal from
2 Mr. George.

3 MR. GEORGE: I can't resist. You know, I --
4 you know, just a couple thoughts. I mean, the first is
5 we have never tied the provision of retail electric
6 service to jobs per megawatt created. And so, again,
7 it's unclear what benefit that adds, and so I would
8 just caution that that does start to go down a path.

9 Again, what we have heard, the two-date
10 existing things have worked well for allocating costs
11 and going forward, there is potential for
12 infrastructure investment to benefit all customers and
13 so that's the first point.

14 The second, I just -- I have to touch on the
15 economic development piece briefly. We are a member of
16 the Data Center Coalition. One of my colleagues
17 presented this morning. But we had a roundtable
18 discussion a couple months back and there was several
19 data center companies there and several labor community
20 members there. People who go out and actually, you
21 know, build facilities at our sites, build our sites.

22 And at one point, someone from the discussion
23 made a comment about the fact that our industry has
24 been providing six-figure blue collar jobs 45 minutes
25 from the nation's capital since 1997, that is economic

1 impact.

2 And so I just -- I don't think it's really
3 beneficial for anyone to go down this road where over
4 time pursuant to Provision 2, the benefits of providing
5 to the economy because we have demonstrated that we are
6 providing significant economic benefit and we're
7 continuing to do so.

8 JUDGE HUDSON: Ms. Robb?

9 MS. ROBB: Yeah. I think it's important to
10 look at economic development in the largest sense; so
11 economic development both in terms of, you know,
12 inviting new economic development into the state and
13 economic development in terms of retaining the
14 development that we have already.

15 So I do think that, you know, to the extent
16 that you have on GS-3 and GS-4, both data center load
17 and industrial load, to the extent that industrial load
18 is, you know, arguably being impacted by the data
19 center load more than it's impacting other customers,
20 and that that could drive out -- either impede growth
21 in the industrial sector or reduce existing industrial
22 activity, I think that's a consideration.

23 If you're looking at economic development as
24 part of the, you know, why we do -- why we, for
25 instance, as Mr. Gaskill suggested, look at rate

1 design, that you look -- you look at it in the broadest
2 sense. And I think the broadest sense would include
3 not only not increasing in -- making life easier for
4 industrials, but making sure we hold on to the
5 industrial load that we have.

6 JUDGE HUDSON: Mr. Gaskill?

7 MR. GASKILL: Just very briefly. I just -- I
8 did want to mention we do have an economic development
9 weight. It's a -- it's for new customers. It's about
10 a five-year discount of base rates. I only say that
11 it's based on capitol investment or the number of jobs
12 they're creating. I just say that it's not unheard of
13 to have a tariff based on economic development.

14 JUDGE TOWELL: Quick follow-up for Ms. Robb.

15 I noticed in your prefiled testimony, Ms.
16 Robb, you referred at some length on the job component
17 of a differentiation between, what I'll call,
18 traditional manufacturing and data centers. You did
19 not mention that in your opening today. And separate
20 from the employment piece, although I'm certainly
21 interested in your thoughts on that.

22 MS. ROBB: Mm -hmm.

23 JUDGE TOWELL: What other characteristic do
24 you see that differentiate VMA's clientele --for lack
25 of a better word -- from the data center construct?

1 MS. ROBB: So in -- other than the job
2 component?

3 JUDGE TOWELL: Yes, ma'am.

4 MS. ROBB: The VMA -- the manufacturers have
5 become parts of the community. So to the extent you
6 have school, you know, they support the schools. They
7 provide --

8 JUDGE TOWELL: Well, -- sorry, let me --

9 MS. ROBB: Sorry, sorry.

10 JUDGE TOWELL: I'm sorry to cut you off.

11 MS. ROBB: Yeah.

12 JUDGE TOWELL: But just to clarify a little
13 bit, kind of the objective measure that, say,
14 regulators could take into --

15 MS. ROBB: Yeah.

16 JUDGE TOWELL: -- account in reflecting on
17 Judge Hudson's question. What is it about data centers
18 that differentiate them from manufacturing facilities
19 from a rate design perspective or a customer class
20 perspective using tools that we have more traditionally
21 --

22 MS. ROBB: So what you're saying -- you know,
23 Mr. Gaskill just pointed out that they do have the
24 economic development weight, which takes into the
25 impact jobs. But other than that, what -- from a rate

1 design perspective?

2 JUDGE TOWELL: Or form -- yes. What --

3 MS. ROBB: Well, the --

4 JUDGE TOWELL: -- what makes them different
5 from your -- from the --

6 MS. ROBB: Yeah.

7 JUDGE TOWELL: -- VMA?

8 MS. ROBB: Yeah. Well, I think that, you
9 know, we've talked throughout this -- these panels
10 about the amount and the rapidity of the way the load
11 was being developed. So when you have an industrial
12 client come on that's a long-term load ramp and it's
13 not happening everywhere all at once. I think what
14 distinguishes the data center situation is that you
15 have a lot of -- magnitudes of load. They -- you know,
16 bigger than most any industrial you see and it's coming
17 on very quickly and they're all coming at once.
18 They're coming in clusters.

19 So I think just the sheer magnitude of the
20 way this load is coming on the system is what's, you
21 know, kind of questioning whether we need to look at
22 rate -- you know, changing business as usual just
23 because we -- something the system hasn't done before.
24 So industrial load comes and goes, but when it comes
25 and goes it does not have the same magnitude of impact

1 that the data center load is having right now, so it's
2 just the sheer numbers.

3 JUDGE TOWELL: Thank you.

4 JUDGE BAGOT: Can I jump in and ask a follow-
5 up to one of Mr. Gaskill's comments?

6 And then, Mr. Robb, I'll let you jump in as
7 well.

8 So I just wanted to go back quickly to the
9 discussion that you were having about, you know, what
10 was the goal to the extent we have a separate customer
11 class? And if we're -- if we're not looking to direct
12 assign costs, are there other tools like contract
13 minimus or rate design that we can use to appropriate
14 out -- appropriately allocate cost without including
15 this separate customer class that we could directly the
16 assign the cost to?

17 I'm going to bring that back to an earlier
18 comment that Mr. Robb made about particularly the
19 issues with respect to the transmission investment that
20 we're seeing, and how right now there doesn't seem to
21 be a great tool if you're looking at just coincident
22 peak methodologies potentially for recognizing that the
23 benefits that certain customers do or don't receive in
24 comparison to the extent, or the magnitude, of the
25 transmission investment being made.

1 And I was trying to come up with some sort of
2 hypothetical. I didn't do a good job. But for me,
3 sort of what I was thinking of is if I lived in a house
4 with a bunch of roommates and we did a -- you know,
5 renovations here and there to the house, we all
6 generally benefit from those renovations.

7 If one of my roommates, or two of my
8 roommates, decide to open a baking business and we
9 knocked down and rebuilt our kitchen to three times the
10 size all at once at a significant cost, yes, I might
11 marginally benefit from having a bigger kitchen and a
12 little more storage space, but are those benefits truly
13 being accounted for appropriately in our current ways
14 that we cost allocate?

15 So my question to you is if we don't have a
16 separate customer class -- or could that be addressed
17 through a customer class? And if that's not
18 appropriate, how do we get at those issues through a
19 contract minimum or rate design?

20 MR. GASKILL: Yeah, that's a very good
21 question. And it's a transmission cost too. Like I
22 said, distribution, I think you can to some extent, you
23 can start to say, these -- this infrastructure is for
24 this customer. Generation, sort of the other -- the
25 other end of the spectrum period, where transmission,

1 somewhere in between.

2 So I don't think there's any doubt that
3 there's additional transmission infrastructure being
4 built that would accommodate the new load growth. And
5 so I kind of put them in two different -- well, really
6 three different buckets when you think about
7 transmission. It's been one of the larger regional
8 projects. I think that it's very difficult to direct
9 assign. I mean you begin to think about that, you
10 would do that because that's really looking at regional
11 wide.

12 It could -- certainly load growth plays a
13 part in it, but it's also generation retirements that
14 may or may not be in our state. It can be solving West
15 to East transmission flows, you know, a bit more
16 interface transmission constraint-type things. So
17 those are very difficult, I think, to say it is
18 attributable directly to this particular customer or
19 customer class although we just inherently do know that
20 the load growth is contributing to it.

21 There are -- and a third category would be
22 end-of-life-type of projects. Those are basically
23 existing lines you're going to reconduct or you're
24 going to rebuild. That, by and large, would have to be
25 done regardless. I don't think that's a direct

1 assigned type issue there.'

2 The ones where I said it gets a little -- and
3 I think getting to your roommate analogy is these new
4 delivery point requests. That's somewhere in between,
5 right? So I made a 300 megawatt delivery point
6 request, and I've got to build one-mile transmission
7 line back to the existing 230 KV system, okay? So I've
8 got one mile at whatever cost.

9 It's clear I'm -- we're doing that primarily
10 for that new delivery point and that new data center or
11 park could be -- doesn't have to be a data center. But
12 where that gets a little tricky, too, I think is, well,
13 nothing's to say I build that one-mile line, the next
14 customer can come and connect on that line. And that
15 could be a data center. It could be industrial. It
16 could be a neighborhood. It could be a, you know, a
17 strip mall, whatever.

18 So, yes, I mean I built that one-mile line
19 for this delivery point, but they don't necessarily be
20 the only ones to benefit from it over its 50-year life.
21 So how do you -- that's where it's that one's kind of
22 in between. But that could be, right, if we were to
23 create -- so well, let me back up.

24 So currently what happens, even all of those,
25 the regional, they end-of-life and those-- and those

1 secondary lines, those are all going to be part of the
2 FERC formula rate and get socialized. I think there's
3 some of the discussion in the first panel about that.
4 If it's a large regional 500 KV and above, it'll get
5 socialized partially across PJM. And, of course, so
6 there's some sharing. We also get shared upon from
7 other costs outside that comes in.

8 And then within the zone, it'll get allocated
9 based on the 12 CP basis to the various LSEs, so the
10 NOVEK, and ODEC, and competitive service providers.
11 And then what you're left with is what's allocated to
12 our customers. So it would be roughly 80 percent or so
13 of that and then we would recover that from our retail
14 customers. So, but currently those projects are not
15 directly assigned either at the FERC level or in our
16 retail level.

17 JUDGE BAGOT: Mr. Robb?

18 MR. ROBB: Thank you.

19 So back to thinking for a second about
20 differentiations among different types of customers and
21 ODEC certainly raised it. You know, this has been made
22 against customer classes based on, you know, a legal
23 data center. You know, it could be unlawful if it
24 fails to appreciate the diversity among data center
25 customers.

1 You know, our member owners serve substantial
2 amounts of manufacturing loads. You know, I think
3 Mr. Hewa said it best. You know, all customers are
4 good customers, and we tend to think about things in
5 terms of risk profiles. And I think -- Mr. Towell,
6 when I think about risk profiles, I -- a few things
7 come to mind.

8 One is the extent to which the load is
9 interruptible. You know, crypto mining facilities,
10 manufacturing facilities; I can't imagine that they
11 will continue to consume the amount of electrons that
12 are required during winter storms or cyber events.

13 Data centers may still continue to do that.
14 And the PJM's interconnection, you know, air traffic
15 control system, our systems are mostly in data centers,
16 hospitals, you know, other systems. So the
17 interruptability of a load and the ability of that load
18 to utilize backup generation during those peak times, I
19 think that's a critical part of a risk profile.

20 Another aspect of that would be credit
21 worthiness. And some of the data center customers and
22 the structures in which they're using, you know, they -
23 - they've got the marquee names on the energy services
24 agreements. You know, others are taking approaches
25 much like real estate developers where you're taking,

1 you know, single purpose bankruptcy remote LLCs and
2 creating, sort of, downward structures, and maybe there
3 are different aspects of credit worthiness.

4 So I -- we tend to look at it more in terms
5 of amount of load, load ramp, interruptability, and
6 credit worthiness in order to develop a risk profile.
7 And we would try to treat a data center -- or a large-
8 use customer -- we'll be intentional with the term -- a
9 large-use customer separately from other large-use
10 customers depending on their risk profile.

11 With respect to the tricky question of cost
12 allocation, you know, I think it's an opportunity for
13 more data analytics. Right? The coincident peaks, you
14 know, PJM is still billing on 1 CP. You know, only
15 recently did Dominion convert to a 12 CP rebill and
16 there are formula rate on 12 CP.

17 You know, other opportunities for additional
18 study for using data, using virtual leaders, trying to
19 create sort of more real-time demand on the system as a
20 way to truly understand, you know, what the impact of
21 any large-use customer and other customer could be.
22 And I think it's an area where we all need to
23 collaborate and, sort of, work together in order to
24 figure out what to do because I'm not sure, if anyone
25 is going to crack that nut yet.

1 JUDGE HUDSON: Mr. George?

2 Oh, Mr. Kroboth?

3 MR. KROBOTH: Thank you, Your Honor.

4 First, I would say that there are no bad
5 players in this regard. Localities have been actively
6 recruiting data center companies as well as traditional
7 manufacturing for as long as any of us can remember.
8 And they have brought tremendous benefits to the
9 communities where they're -- where they're at.

10 I can't speak specifically to a manufacturing
11 -- traditional manufacturing. Intuitively, I have to
12 believe that traditional manufacturing works very hard
13 to reduce its electrical demand to lower costs to, you
14 know, increase their margin for the product that
15 they're selling.

16 Your question about what's different between
17 traditional manufacturing and data centers, I think, is
18 essentially the continuing maturity of technology. And
19 the fact that existing data centers are increasing
20 their demand, a study that I -- that I found came
21 across indicated that a traditional computer rack
22 within a -- within a data center, upon, if it was built
23 in the early 2000s, was anticipated to consume about 5
24 KW worth of electrical demand.

25 But based on the new technology, like AI that

1 we're seeing, that same rack is demanding 50 KW, a ten-
2 fold increase where the building footprint didn't
3 change at all, but the per unit square foot of the
4 building is increasing significantly. And I don't know
5 that -- I can speak as an expert about traditional
6 manufacturing, but I think we work very hard to reduce
7 their demand.

8 JUDGE BAGOT: Thank you.

9 Mr. George?

10 MR. GEORGE: Yeah. So I want to go back
11 briefly to the comments Mr. Robb was making around the
12 significant, sort of, upfront collateral requirements
13 and additional tools to ensure credit worthiness,
14 financial viability of the large load customer. We
15 agree with that.

16 He's also talked about -- Mr. Gaskill had
17 touched on this concept of minimum demand requirements.

18 I want to point back to a comment Ms. Robb
19 made about Indiana. I think, and we included in our
20 testimony, we, along with several of the parties,
21 unanimously agreed to a settlement in an I&M, Indiana
22 and Michigan Power, proceeding just last month, this is
23 currently pending before the Commission so we're hoping
24 that gets a good outcome.

25 But the reason I want to come back to that is

1 we were able to structure that settlement in a way that
2 added all of these additional provisions to mitigate
3 the risk facing the utility and other customers for a
4 significant investment without adding a separate rate
5 class.

6 And so if you look at that system, it's a
7 relatively small system, less than a few gigawatts.
8 And so the amount of growth that we were adding was a
9 significant addition to the system, right, multiple
10 gigawatts on top of a small system. And so these are
11 significant incremental investments that we were able
12 to do so without that additional rate class.

13 I would also note we were able to get the
14 consumer advocate onboard in Indiana. And so just --
15 there are ways to allocate this risk in a way that
16 protects all customers in the utility from this risk
17 without a separate class.

18 JUDGE BAGOT: Mr. Robb?

19 MR. ROBB: Yeah, and just to underscore that
20 coordination, ODEC welcomes that. And we've spent a
21 lot of time -- at least I have -- focused on financial
22 risk coordination. And I think that that coordination,
23 particularly in the market, can focus on things like
24 scheduling load into the day-ahead market. You know,
25 there's extreme price scarcity at times in the real-

1 time market. You know, the longer that the stand,
2 assuming prices occur, we would expect those markets to
3 -- excuse me -- converge with, you know, participating
4 in the day-ahead market, you know, that's a difference
5 of a price circumstance.

6 In the event of a extreme weather event where
7 operational coordination is needed, and PJM starts to
8 implement, you know, their manual processes for max
9 generation in load shed, we need operational
10 coordination as it relates to that. You know, I'd like
11 to sit down with data centers and large-use customers
12 and really understand, you know, with the Commissions
13 help and FERC's assistance with NERC as well, you know,
14 how are we going to work together during those
15 operational emergencies?

16 You know, the representative on the panel for
17 SERC this morning talked about the fact that we had a
18 load drop in the southeast and in other areas, you
19 know, Texas during winter storm Uri. That was a
20 disaster. And in some of our written comments that we
21 were preparing, hoping to pull together some materials
22 and educate us and the Commission on how we, here in
23 Virginia, can avoid that. And what my general sense is,
24 is it's a little slow right now for us to coordinate
25 during those, you know, extreme events.

1 There was also a reference to that the NERC -
2 - SERC representative made about challenges when large
3 amounts of load drops off the system. I'm not an
4 engineer but the voltage sort of circumstances that can
5 be created then, that causes real system reliability
6 stress. You know, at the end of the day, my primary
7 obligation is to reliability provide power to do so in
8 a formal way that protects consumers.

9 And I think we, here in the Commonwealth,
10 have a real opportunity to build upon the coordination
11 that Mr. George talked about and Mr. Gaskill talked
12 about, in order to help prepare for the financial and
13 operational circumstances that we could be facing here
14 in Virginia soon, you know. Thank you.

15 JUDGE BAGOT: Thanks.

16 Do you have questions?

17 JUDGE TOWELL: Yeah.

18 JUDGE BAGOT: Oh, go ahead.

19 JUDGE TOWELL: Mr. Robb, we talked a little
20 bit about risks, kind of the financial risks and a sort
21 of risk that can come up especially in the short-term.
22 I'm a little -- I'm interested in this question about
23 more long-term, what I guess I would see called
24 overestimation risk. And I'd like to hear from frankly
25 any of the panelists on what they see as the biggest

1 overestimation risks to the current load forecasts
2 that, of course, can also ultimately impact allocation.

3 You know, we hear about technological
4 advancements such as potentially, I don't know,
5 something along the lines of quantum computing, Exxon
6 recently stated that they were getting into the stand
7 alone gas generator game. For all I know, we could be
8 buying small modular reactors from Walgreens. So a lot
9 of these can impact what is actually kind of on the
10 grid versus off the grid. And that is potential risk,
11 of course, for what would ultimately be overbuild
12 dynamics.

13 So I'll just kick that off to the entire
14 panel for anyone who would like to jump on that.

15 Not surprised, Mr. Wilson.

16 MR. WILSON: Well, just briefly. I mean all
17 those things. As I described, I think it was a huge
18 uncertainty, but not probably for the first one, two,
19 three, four years. It gets way more uncertain beyond
20 that.

21 And I will note that of the ten utilities
22 that provided PJM long-term data center load forecast
23 that PJM should potentially add to their forecast, all
24 but one had what I call an S-shape, which means it goes
25 up over the next five or six years because it got

1 contracts and the -- their customers are talking about
2 this. But they kind of flattened. They kind of
3 flattened after about '30, '31, '32. In nine out of
4 ten cases, that was the shape of their forecast.

5 Not necessarily because these customers are
6 saying, Oh, we're going to be done in '32. I think it
7 was partly just because they don't have any real firm
8 evidence and all these different uncertainties coming
9 together there.

10 It was only Dominion that had one that kept
11 going up and that was -- in the meetings, they said
12 that was because they have historical data they could
13 project. But I mean, I would just say that, again, in
14 the near-term pretty firm, but beyond that, all those
15 uncertainties come together. And next year, we'll go
16 through this PJM process again and I suspect some of
17 those will be pushed out and up another year or two,
18 maybe not.

19 JUDGE TOWELL: Mr. George.

20 MR. GEORGE: Yeah. So I'm going to agree
21 with a lot of what Mr. Wilson said there, particularly
22 at the end. I mean I think there's only so much a 20-
23 year forward forecast can provide, right? And so there
24 -- they can be directionally helpful, but beyond that,
25 it starts to -- I start to question how valuable they

1 are.

2 I do think as we start to inch back towards
3 that sort of 12-, 10-, 8-year mark, we need to start
4 ratcheting up the confidence in that simply because of
5 the long lead times it requires to build new
6 infrastructure.

7 But I think two thoughts there. We actually
8 think there's a lot of room right now for PJM to be
9 more aggressive in addressing the load forecast
10 adjustments that come up from its TOs. I will clarify
11 that we do think Dominion does a very good job today in
12 sending up requests both based on contract provisions,
13 but also based on historic metered usage. Not every TO
14 has that, right?

15 And so, it's -- in addition to not having
16 that historic metered data, TOs across the PJM
17 footprint, including other operators here in Virginia,
18 there's no standardization in how they're communicating
19 those load forecast adjustments up to PJM.

20 And so we do think there's a way for PJM to
21 impose more discipline on the TOs by stating, for
22 example, to the extent your load forecast adjustments
23 are not backed by firm financial commitments or
24 historic metered data and firm analysis, we're going to
25 discount that to some degree. Right? Because there's

1 got to be a way to rationalize the numbers that are
2 informing the load forecast in what's coming up from
3 the TOs across the footprint.

4 On the efficiency point, for your question,
5 we operate the most efficient data centers in the
6 world. That's not going to change moving forward. We
7 have a financial incentive to be efficient and we will
8 continue to do that. Between 2015 and 2020, we're able
9 to do five times more from a compute perspective with
10 the same megawatt hour of electricity. We're going to
11 continue to do that. That will have an impact on the
12 long-term forecast.

13 And so we've got to be constantly iterating
14 between the EDCs, the TOs, PJM, and the large customers
15 to make sure that forecast, while it's never going to
16 be a hundred percent accurate, is as accurate as
17 possible.

18 JUDGE TOWELL: Mr. Gaskill?

19 MR. GASKILL: Sure. Yeah, so may I just
20 respond quickly. One thing that Mr. Wilson said on the
21 S-curve versus kind of the more smoother long-term.
22 This is more of Mr. Blackwell's territory from the
23 first panel, but I've heard him talk about it enough.
24 I think I can repeat.

25 So typically when you see an S-curve where it

1 goes up very quickly and then flattens out, what you're
2 looking at is a capacity-type forecast. So you'll see
3 a number of data centers -- say, I'm requesting
4 gigawatt capacity whatever, by this year, and you'll
5 see it come up and then flatten out once you hit that
6 gigawatt.

7 Recall what Mr. Blackwell said when we're
8 doing our forecast, we're forecasting not capacity but
9 meter demand. And so we may see that 1000 megawatts of
10 capacity request, but we're going to slowly -- we're
11 going to build that ramp period into it over time. So
12 that's why you don't see that flattening because we're
13 pushing it out over time as we see those coming in.

14 And as he said, we've got signed contracts
15 with financial commitments behind it to take us out to
16 the metered demand through 2040. So we don't believe -
17 - we've been at it a lot longer and other TOs and PJM.
18 We do feel like we have a robust, very accurate
19 forecast.

20 So backed up by -- backed up by signed
21 contracts by customers, so but -- and I would also just
22 say when you start seeing data center companies -- you
23 see Amazon, you see Google starting to invest in things
24 like SMRs themselves that are technologies that are by
25 and large going to not be available commercially until

1 we get say to mid-'30s, right?

2 But they're putting significant -- or be
3 showing a willingness to put up significant financial
4 commitments for those types of things, that tells me
5 they view it as real, as well, and that this load
6 growth is going to continue on for the foreseeable
7 future.

8 So I think you're seeing it in the contracts
9 they're signing. You're seeing it in the statistics
10 we're seeing. But you're also seeing it through the
11 financial commitments they're making otherwise, that
12 it's real.

13 JUDGE TOWELL: Thanks.

14 JUDGE BAGOT: Thanks.

15 We have a little bit more time left. I
16 wanted to circle back to market-based rates. I'm
17 hoping you all can help me understand this a little bit
18 better in the context of data centers.

19 So it seems like -- and there may be a little
20 bit of a difference between the market-based rates
21 being discussed by Mr. Robb and market-based rates that
22 Dominion uses or currently has on file for its limited
23 number of data center customers. And, to me, the
24 primary difference I see is that as described by Mr.
25 Robb, it truly is the utilities or the co-op going to

1 the market purchasing power and passing through that
2 cost to the end use customer.

3 As described, I think, by you, Mr. Gaskill --
4 but please correct me if I'm wrong -- the market-based
5 rate is really just a proxy for power cost or energy
6 cost at that time. And it's not really the cost of you
7 having gone to the market and procured that power for
8 that customer and then passing it through.

9 And so one of the things that you've
10 mentioned -- and, again, this is me just trying to
11 understand, so please clarify if it were necessary.

12 One of the things I'm struggling with market-
13 based rates in that context is to the extent that
14 Dominion is building its own generation to sort of
15 protect itself for potentially price volatility in the
16 wholesale markets, but then is using those prices as a
17 proxy for power sales, isn't there an opportunity for
18 data centers to either overpay or underpay their
19 contribution to these system -- their true cost of
20 service to the extent that for the most part, the
21 majority of Dominion's system is being served by
22 Dominion-built-and-owned resources?

23 And so if that risk exists, what degree of
24 risk is there? Is it enough that it would cause us to
25 have concern about the fairness of cost allocation

1 under market-based rates with respect to data center
2 customers?

3 And what could we look at to get a better
4 sense of, sort of, what that over-under risk could be
5 with respect to those types of customers?

6 MR. GASKILL: Sure, a lot to unpack there.
7 So I think the short answer is customers that are on a
8 market based rate, yes, there is risk that they will be
9 paying either -- or I mean they will be, they will be
10 paying either more or less than our standard tariff
11 depending on market prices. And that'll change over
12 time. If you look at our MBR tariff, if you went back
13 to say the 2019, 2020 time period, they would have been
14 paying less than our standard tariff because then our
15 prices were very low and capacity were very low.

16 If you look at 2022, power prices with gas
17 prices, they were very high. They would have been
18 paying much more than our GS-3 or GS-4 sticker tariff
19 rate, so, yes, that exists.

20 Our -- so where I view it as advantageous,
21 not just -- I mean to the data center customers that
22 are on the MBR and industrials that are on MBR, they
23 have various reasons for doing that. But where it can
24 be advantageous to the rest of our customers is that it
25 does provide, I believe, a near perfect hedge against

1 our purchase power expense.

2 And so if you look at, say, the last two,
3 three years. I'm going use sort of round numbers. But
4 we purchase on an energy basis roughly, call it 20
5 percent we're purchasing from PJM, meaning we're -- our
6 load obligation is higher than what we're actually
7 self-generating. So we're purchasing -- and then
8 that's true almost every hour of the year. We're
9 almost always purchaser. But across the year, we call
10 it 20 percent.

11 We had, as of a year ago, roughly 15 percent
12 of our sales were on a market-based rate. So when you
13 think about our purchase power, what is it being priced
14 as? It's being priced at whatever the PJ market price
15 is which it goes up or down with LMPs. Well, that 15
16 percent of our sales are also paying based on that same
17 market price. Kind of a little bit of a shape
18 difference, but it's paying the same DOM zone energy
19 price. And so you have almost this perfect correlation
20 between our purchase power expense and what they're
21 paying.

22 And so that -- it reduces the volatility for
23 all customers in terms of what we'll pay for in our
24 fuel factor because they're -- when prices go up,
25 they're paying more. Prices go down, they're paying

1 less, but everybody benefits from the lower power
2 prices as well, so it's a perfect hedge.

3 And you asked, where could you look to? I
4 would actually look, there's a -- my testimony in the
5 2022 -- 2023 fuel case where we talked about this hedge
6 effect and what that would look like, so that might be
7 a place -- maybe a starter.

8 JUDGE BAGOT: Sure. Does it change based on,
9 say for example, in the next ten years -- well, there's
10 a couple of different things that could change. If 75
11 percent of energy sales are now coming from data center
12 customers, does that change the benefit of the hedge?

13 And I would also say if Dominion is making
14 investments now in terms of building generation to meet
15 projected data center load, whereas overtime on a
16 market-based rate tariff, in ten years if the wholesale
17 market sort of levelizes and prices go down, but the
18 Dominion made the generation investments now, does that
19 risk --

20 MR. GASKILL: Yeah.

21 JUDGE BAGOT: -- on the long-term sort of sub
22 --

23 MR. GASKILL: Sure.

24 JUDGE BAGOT: I don't want to use
25 subsidization. That's a --

1 MR. GASKILL: Yeah.

2 JUDGE BAGOT: -- kind of sensitive other
3 word. But is there -- is there some sort of inequality
4 in terms of the cost recovery that's happening there?

5 MR. GASKILL: In a -- in a perfect world we
6 would want the volume of sales that are on our MVR or
7 SCR to match our purchase power volume in a perfect
8 world. And then you're perfect -- nearly perfectly
9 hedged.

10 I think what you're getting at is in a
11 scenario where we continue to build generation, and
12 perhaps we're not net purchasers, is there a mismatch
13 there? And I think that's a valid concern over the
14 long-term.

15 I would say for the foreseeable future, we
16 will continue to be net purchaser of both energy and
17 capacity. So I don't see that being a large concern,
18 at least in the short medium-term but it's certainly
19 something over a 10-, 15-year period could that energy
20 mix change? I think that's a valid concern.

21 JUDGE BAGOT: Thank you.

22 Any other questions?

23 All right. We've got a couple minutes left,
24 so I'll offer the same thing I offered the last panel,
25 which is like a lightning round of final thoughts,

1 takeaways that you all may have. So I'll start -- I'm
2 going to start over here this time.

3 Mr. Kroboth, you can go ahead.

4 MR. KROBOTH: Thank you, Your Honor. I would
5 just offer two comments. One is to thank the
6 Commission for your time and leadership in this role.
7 We're looking forward to seeing how it comes out.
8 Also, thanks to my colleagues on the panel, for this
9 panel as well as the panel before, tremendous
10 information I know they provided. And I look forward
11 to the information from Panel Number 3. So thank you
12 very much.

13 JUDGE BAGOT: Ms. Robb.

14 MS. ROBB: Yeah, I would just go back to my
15 comment of first do no harm, so I do think that rate
16 design should be considered. Rate design changes
17 should be considered. But when you do that, be careful
18 that you're not fixing one problem and causing another.
19 Particularity, of course, in my case from the
20 industrial perspective.

21 MR. ROBB: I'd hope Virginia takes this
22 opportunity and this platform to really be a louder
23 voice at PJM and in our national conversation, helping
24 ensure that PJM addresses resource adequacy in way that
25 balances allocation and cost to consumers. And

1 thinking bigger about how, you know, we can really work
2 together on that.

3 And aligning, for example, the natural gas
4 day with the energy market day would go so far to
5 helping make sure that when ODEC's plants need natural
6 gas in order to run during the extreme weather events,
7 we actually have the natural gas that we need. So, you
8 know, we've got a lot of smart people in this room,
9 lots of smart people in the Commission and in the
10 legislature, Executive Branch, and I hope you can
11 really amplify our voice because I think we can make a
12 big impact.

13 JUDGE BAGOT: Thank you.

14 Mr. Wilson?

15 MR. WILSON: Thank you again for inviting me
16 and thank you for your really good questions. And In
17 hope you'll continue to drill down on this important
18 question and on this new load and to try to really
19 fully understand it and understand how firm it is.
20 Thank you.

21 MR. GEORGE: I would echo my appreciation.
22 I'm going to see you all in about two minutes. And,
23 no, it's -- clearly there's a lot to do here. I want
24 to echo Mr. Robb's comments. This is an opportunity.

25 We have heard a lot of discussion today, more

1 than I think that I expected about the wholesale market
2 and the impact that that is having on what's happening
3 here in Virginia. There is a tremendous amount of
4 opportunity to engage both at PJM as day regulators and
5 through the organizations that you are members of. I
6 would encourage you to really lean into that. I think
7 your leadership there could be extremely beneficial,
8 so, thank you.

9 JUDGE BAGOT: Thank you.

10 MR. GASKILL: I'll echo what everyone's said,
11 thank you for the opportunity. I think this is a great
12 forum to be able to discuss a number of complex issues.
13 And I have to say, I mean, I've learned just listening
14 and I'm looking forward to the third panel as well.

15 You know, again, Dominion stands where we
16 continue to review these cost allocation issues. We
17 understand we have an obligation to serve. We have --
18 as customers connect, you know, reliably, affordably,
19 and of course, for the Clean Economy Act, pursuing
20 clean. So we're gearing up to a very difficult
21 challenge but we've -- we will continue to do that.

22 And then, you know, sort of cost allocation,
23 I do just -- you know, we've talked a lot about the
24 risk and the stranded cost risk that to me, that is
25 probably the biggest concern going forward, is the

1 amount of infrastructure development in ensuring that
2 as we build 30, 40, 50-year old assets, that the
3 customer or work is going to be there. Or just, you
4 know, the customers we're building it for will be there
5 to pay for it. That, to me, is as important as
6 the -- as the true allocation issue. So looking
7 forward to addressing everyone forward. Thank you.

8 JUDGE BAGOT: Great. Well, thank you all. I
9 really appreciate your participation today. Great
10 panel. We're going to break now for 30 minutes, so
11 hopefully everyone can get a quick drink and a bathroom
12 break, and we'll be back at three o'clock. Thank you.

13 (Whereupon, a recess was taken at 2:30:45
14 p.m.)

15 JUDGE BAGOT: All right. Welcome back.
16 Thank you, panelists, for already being up here and
17 ready to go. I appreciate it. I'm impressed looking
18 at the crowd. We haven't lost too many folks for late
19 in the day.

20 So with that, I will start with the panelists
21 and ask for brief introductions and introductory
22 remarks.

23 And I will start on my left with Mr. Vaughan.

24 MR. VAUGHAN: Good afternoon. On behalf of
25 Appalachian Power Company, I'd like to thank the

1 Commission for organizing this technical conference for
2 the opportunity to participate in the discussion
3 regarding this important topic.

4 As managing director of regulated pricing, I
5 support the AEP utility operating companies in the
6 areas of cost of service, cost allocation, rate design,
7 special retail contract negotiations. That's what my
8 team is in charge of.

9 AEP has experienced firsthand the rapid
10 growth of large loads in our service territory, and we
11 recognize the importance of enabling this development.
12 AEP is committed to providing reliable service,
13 supporting economic growth, and working with all
14 customers to determine how to best meet their energy
15 needs.

16 The manner in which we integrate this large
17 load growth opportunity into our system, including
18 under what terms of service, could have cost of service
19 and rate implications for the company and its customers
20 for decades to come.

21 This is a timely discussion for APCo as it
22 entertains prospective load additions that could more
23 than double its current Virginia jurisdictional peak
24 demand, many of which are a size that could be
25 considered a large load with the potential to make a

1 material impact on the overall makeup of the company's
2 load and will require incremental utility and
3 infrastructure, likely both generation and transmission
4 to serve these loads.

5 From the company's perspective, it is
6 reasonable and important for the Commission to adopt
7 policies and safeguards that accommodate this potential
8 load growth in a thoughtful and deliberate manner. It
9 remains the company's hope that when it contracts with
10 new, large loads, they will develop, interconnect, and
11 take electric service as indicated by the prospective
12 new large load customers.

13 Nevertheless, it is necessary to establish
14 terms and conditions for service, safeguard against the
15 cost impacts to other customers that can occur if the
16 new load does not materialize on schedule, fully
17 materialize, or terminates prematurely. The company
18 and its affiliates believe that enhanced terms and
19 conditions such as the following are reasonable,
20 prudent, and needed enhancements to the company's
21 standard electric service for large load customers and
22 appropriately balance the risks presented:

23 An extension of the standard contract term.
24 Currently, it's two years on our industrial tariff. We
25 think something closer to 20 years is more appropriate

1 in this area; enhanced term of trailing minimum demand
2 charges. So this is, you have a contract and you cease
3 operations before your contract is over. Right now,
4 it's roughly 11 months. We think something closer to
5 five years is more appropriate;

6 Provisions that allow a new customer some
7 degree of flexibility to reduce its contract capacity
8 during the contract term; an increase in the current --
9 for us, a 60 percent minimum billing demand -- but an
10 end increase in the minimum demand charges in general;

11 And then an increased collateral obligation
12 to back the enhanced trailing minimum demand charges
13 should be considered if a customer were to maturely
14 reduce or cease its operations. So right now, we
15 really have no collateral requirements. We just have
16 the deposit policies and tariff.

17 It is important to note, this type of
18 framework is meant to provide the customer with some
19 degree of flexibility in its operations while
20 protecting existing customers and providing the company
21 with the financial assurances needed to prudently
22 invest in expanding its system to serve the new, large
23 loads.

24 Under this type of framework, the new, large
25 load customer will not pay any rate charges that they

1 would not have under the existing tariff unless they do
2 not fulfill their contractual obligations with the
3 company.

4 Just to note that the AEP affiliate item
5 that's been mentioned multiple times here, if you have
6 questions on that, it's in my statement here as well,
7 but I was part of the team that --

8 JUDGE BAGOT: Okay.

9 MR. VAUGHAN: -- negotiated that, so I can
10 answer your questions. And with that, I'd just like to
11 thank you for the opportunity and appreciate the
12 discussion today.

13 JUDGE BAGOT: Thank you.

14 Mr. George, back to you.

15 MR. GEORGE: Good afternoon, again. It is a
16 pleasure to be here, so thank you for the invitation to
17 speak on this panel as well. I'll be brief in my
18 remarks and just maybe throw out a couple things for
19 consideration. I think the theme of this panel is a
20 little bit more around the other tools in the toolkit.
21 Right? How can we think about ways to address the
22 problem, perhaps outside the box, that we currently
23 have thought of.

24 And so just a couple things. One area that's
25 getting a lot of attention is this issue of

1 co-location. I think some panelists have mentioned
2 earlier there was a tech conference at FERC in November
3 that I was also a part of. And I just, you know, at
4 least for our perspective on co-location, we see real
5 opportunity there.

6 In particular, the ability to match new loads
7 coming onto the system with new generation. It's
8 important to emphasize that new point, particularly
9 given the resource adequacy discussions that we have
10 heard. I think it's no secret PJM is expecting serious
11 resource adequacy issues by the end of this decade, and
12 so there is a need for every bit of generation capacity
13 that can be brought to the system. And so that's where
14 we do see a ton of value in co-location.

15 Last week, Google announced a partnership
16 with Intersect Power and TPG that reflects this model
17 moving forward, whereby we will build new data centers
18 in co-development with new generation resources going
19 forward. So I would just encourage us to think about
20 how co-location in that regard can be a tool.

21 I will say the other version of co-location,
22 which has created a lot of attention at FERC, which
23 takes existing generation resources to match with new
24 load, that is not a pathway we are interested in
25 pursuing, just given the resource adequacy challenges

1 the grid is facing.

2 And more importantly, with respect to
3 co-location, we are not trying to avoid any generation
4 or transmission costs associated with connecting to the
5 grid. As I noted in comments to FERC last week,
6 co-location is really about speed to market. But we
7 want to do so in a way that's in partnership with our
8 utilities and our grid planners. And so I would
9 encourage this commission to think about how that could
10 be a tool moving forward.

11 Separately, I would also like to really
12 encourage us to think about what types of innovative
13 rate structures exist to enable us to grow in a way
14 that also enables us to procure the types of resources
15 to match our sustainability objectives. I will note
16 there is -- there are opportunities and potentially new
17 opportunities here in Virginia to do that.

18 But I would also point to an investment that
19 we made in Nevada, earlier this year, partnering with
20 an enhanced geothermal developer to bring that 24/7
21 firm base load clean resource onto the grid in a way
22 that benefits us, but also benefits other ratepayers of
23 the utility at no additional cost to that utility.

24 So I would really encourage us to think
25 through what are ways that we can think through these

1 innovative rate structures in a way that starts to
2 solve these broader problems.

3 Next, and I hit on this a little bit in my
4 opening testimony, but I do think it's really important
5 we think about how we can make broader investments in
6 things like energy efficiency and support low-income
7 communities as we're growing.

8 The settlement that was mentioned in Indiana,
9 if approved, would create a carve-out whereby we would
10 be supporting low-income residents in Indiana for
11 things like pre-weatherization and investments in
12 energy efficiency that can reduce overall energy
13 burden. There's a ton of potential to do that, and we
14 are looking actively at ways to do that here in the
15 commonwealth.

16 And then, finally, I hit on this a little bit
17 in my last comment. I've heard a lot of discussion
18 about PJM. It's clear what happens in Valley Forge has
19 dramatic impact on what ratepayers here in the
20 commonwealth are exposed to, and I really think that
21 moving forward, there is a more aggressive role for
22 state utility regulators to play there.

23 I often refer to state regulators as super
24 stakeholders at PJM. Even though you don't have a vote
25 in the process, your voice carries a ton of weight.

1 And so we just encourage you to think through ways to
2 engage in things like market design proceedings, such
3 that we are getting these things right.

4 And so I'll stop there, but I really just
5 look forward to opportunities to elaborate on what I've
6 outlined. And thank you again for the opportunity to
7 be here again today.

8 JUDGE BAGOT: Thank you.

9 You're going to have to help me pronounce
10 your last name. My apologies. Is it Jaramillo?

11 MR. JARAMILLO: Close enough. We'll go with
12 that.

13 JUDGE BAGOT: No, no, no.

14 MR. JARAMILLO: No --

15 JUDGE BAGOT: Please -- please correct me.
16 Please correct me.

17 MR. JARAMILLO: Well, my name is Gilbert
18 Jaramillo.

19 JUDGE BAGOT: Okay.

20 MR. JARAMILLO: All right.

21 JUDGE BAGOT: I will --

22 MR. JARAMILLO: Well, good afternoon.

23 JUDGE BAGOT: Thank you.

24 MR. JARAMILLO: Again, my name is Gilbert
25 Jaramillo. I am the vice president of power supply for

1 Northern Virginia Electric Cooperative, NOVEC, for
2 which I am responsible for NOVEC's overall power supply
3 portfolio.

4 I've been with NOVEC for over 36 years and
5 have held various leadership positions within the
6 cooperative in the areas of rates, cost of service,
7 regulatory large load infrastructure agreements, retail
8 power supply agreements, and NOVEC's for-profit
9 affiliates in the natural gas and fiber business.

10 Let me start by offering my thanks to the
11 Commission for hosting this very important technical
12 conference and allowing the views of NOVEC to be heard
13 today.

14 So a little background information about
15 NOVEC and its history with the data center industry.
16 I'm going to attempt to paraphrase my written comments.

17 So NOVEC's peak load in 2024 reached 2,072
18 megawatts, more than double the 927 megawatts in 2012.
19 This doubling of our system peak was due to data
20 centers.

21 NOVEC serves 58 data center buildings with a
22 combined load of 1408 megawatts. By 2035, NOVEC
23 expects to serve over 120 data centers, including
24 campuses and buildings, with a forecasted peak load
25 exceeding 10,500 megawatts. And I'd like to emphasize

1 that this is not contracted capacity, but this is the
2 forecasted peak.

3 Data centers currently account for over 65
4 percent of NOVEC's energy sales, with projections
5 showing that figure may rise to 95 percent by 2032. So
6 NOVEC's approach to serving data centers: NOVEC serves
7 data centers under three commission-approved tariffs
8 that correspond to various load levels. These
9 arrangements include contribution aid of construction
10 requirements, minimum bills for delivery service,
11 weekly power supply billing, and strict credit review
12 and collateral requirements, I emphasize.

13 These tariffs allow for market-based options
14 that contemplate additional bilateral arrangements with
15 large data center customers that match the risk to
16 NOVEC's general body of ratepayers.

17 NOVEC has been very successful at putting
18 credit instruments in place that offer a variety of
19 solutions available to different types of data center
20 customers. This is done through the normal NOVEC
21 business model.

22 Concerns and challenges. While NOVEC seeks
23 no changes in law or commission rules to complement its
24 service to large load customers currently, NOVEC is,
25 nevertheless, concerned about the following issues:

1 Transmission costs. Data center expansion is
2 driving up bulk transmission costs, placing a financial
3 burden on all ratepayers. NOVEC advocate for
4 revisiting cost allocation to ensure transmission costs
5 are fairly distributed.

6 Energy market concerns. The shift to
7 nondispatchable generation and increasing energy costs,
8 such as the rise in capacity-clearing prices, may
9 negatively impact all customers.

10 Backup generation utilization. Data centers
11 have backup generation that is rarely used. NOVEC
12 suggests exploring opportunities for more efficient use
13 of this idle generation, especially during times of
14 high-priced LOPs in the market.

15 Co-location generation and load. NOVEC
16 expresses caution about co-locating generation with
17 load, as they may increase costs for non-data center
18 customers. If data centers offer self-supply, NOVEC
19 believes it should be a temporary solution rather than
20 a permanent one.

21 In conclusion, NOVEC remains committed to
22 serving its diverse customer base, including data
23 centers, and advocates for innovative solutions to
24 manage the growing demands while addressing the
25 associated challenges. Thank you.

1 JUDGE BAGOT: Thank you.

2 Mr. Smith?

3 MR. SMITH: First, I would like to thank the
4 Commission for giving me the opportunity to represent
5 Tract today. I appreciate you putting this conference
6 together.

7 Before I jump into these comments, there is
8 one thing I wanted to say. I just heard my
9 counterpart, Gil, say right here, in terms of bulk
10 costs and it not being allocated across the ratepayers,
11 we've heard today from Dominion, as well as from the
12 JLARC readout, that the data center customers are
13 paying their fair share based on the rates that are
14 created. And with that, I would like to dive in.

15 So my name is Brandon Smith, and I serve as
16 vice president of utility development at Tract Capital
17 Management, a land acquisition and development company
18 that, through its managed affiliates, master plans,
19 data center, parks to meet the growing demand for
20 digital infrastructure.

21 Our portfolio encompasses multiple gigawatts
22 of planned development over the next 15 to 20 years,
23 reflecting the immense scale of the challenge and
24 opportunity before us. Specific to the State of
25 Virginia, Tract, through its subsidiaries, is

1 developing a 2.4-gigawatt data center campus in Hanover
2 County, Virginia.

3 I've earned over 13 years of experience in
4 the energy sector. My career began at Dominion Energy,
5 where I spent more than four years directly developing
6 strategic partnerships with major data center operators
7 and advancing Virginia's rise as a global hub for
8 digital infrastructure.

9 Later, at Amazon Web Services, I managed data
10 center interconnection and energy strategies across the
11 eastern United States and Canada.

12 Between Dominion Energy, AWS, and Tract, I've
13 secured over ten gigawatts of power commitments from
14 master-planned campuses in markets like PJM and MISO.

15 From Tract's perspective, the core challenge
16 presented is not a lack of willingness to invest, but
17 rather one of pace, proactive planning with
18 transparency, and collaborative alignment. It is our
19 experience that companies like Tract pay the fair share
20 of costs necessary to support infrastructure
21 development. However, utilities are struggling to
22 build infrastructure quickly enough to meet rapidly
23 growing demand. This bottleneck jeopardizes local
24 economic growth, as well as the country's global
25 leadership in technology and innovation.

1 As energy-intensive industries continue to
2 expand, the stakes grow higher. Misaligned
3 infrastructure expansion risks, stranded investments,
4 or unfair cost burdens on all classes of ratepayers.
5 It is important to note that addressing this challenge
6 does not require abandoning rate-basing principles or
7 established structures that have proven effective.

8 However, discriminatory practices that
9 unfairly target specific industries must be avoided.
10 Adding to this complexity, past performance is no
11 longer a reliable indicator of future demand. The
12 unprecedented growth seen throughout the United States
13 highlights the need for a paradigm shift in planning
14 and execution.

15 RTOs, utility commissions, policy makers, and
16 large load users must work together more closely than
17 ever to ensure infrastructure is available when and
18 where it is needed without sacrificing fairness or
19 efficiency.

20 Addressing these challenges requires urgency,
21 innovation, and a commitment to proactive planning.
22 The urgency of this moment cannot be overstated.
23 Without greater collaboration between key stakeholders,
24 we risk falling behind in the race to deliver reliable,
25 affordable, and timely infrastructure.

1 By embracing best practices and fostering
2 partnerships, we can accelerate development, minimize
3 risks, and ensure that infrastructure expansion keeps
4 pace with demand. This is not just an economic
5 imperative, but a critical step toward maintaining our
6 country's competitive edge in the global innovation
7 landscape. Thank you.

8 JUDGE BAGOT: Thank you.

9 And, Mr. Crenshaw?

10 MR. CRENSHAW: Good afternoon. Thank you.

11 First, thank you for convening this technical
12 conference and allowing AES to be a part of it.

13 As an independent power producer, AES is
14 committed to the commonwealth's renewable energy goals,
15 delivering innovative energy solutions for our
16 customers, and maintaining cost efficiency for all
17 ratepayers.

18 My name is Walter Crenshaw. I'm the senior
19 director of origination at AES. I cover commercial
20 contracting of our renewable assets along the East
21 Coast, which includes Virginia.

22 AES, itself, is a global energy company
23 headquartered in Arlington. Since 1981, we are a
24 nationwide leader in renewable energy power purchase
25 agreements for corporate customers, with a portfolio

1 that represents over 580 clean energy projects across
2 28 states.

3 We own and operate AES Spotsylvania, which is
4 a 485-megawatt solar facility in Spotsylvania County.
5 It's the largest solar facility east of the Rocky
6 Mountains.

7 We have approximately one gigawatt of
8 renewable energy generation operating in the
9 commonwealth, and about a half-a-gigawatt under
10 late-stage development or in construction.

11 As an independent power producer, AES is
12 committed to supporting the commonwealth's renewable
13 energy goals, delivering innovative energy solutions
14 for customers, and maintaining cost efficiency.

15 We addressed a few key opportunities and
16 challenges related. Hopefully, these aren't too
17 duplicative from the rest of the day. But as has been
18 discussed today, load growth, particularly driven by
19 data center expansion, is increasing demand on the
20 grid.

21 For IPPs like AES, this represents a unique
22 opportunity to continue to help customers mitigate
23 risks associated with load growth, support
24 infrastructure demands, and align with the
25 commonwealth's renewable portfolio standard goals.

1 By developing and building in-state renewable
2 energy projects, IPPs help manage energy costs and
3 provide clean and reliable energy.

4 A few insights we had from the JLARC's
5 December 9th report that we would want to point out:
6 one, the cost of importing energy.

7 So in the JLARC report, it was concluded that
8 importing energy from out-of-state resources would
9 drive up costs. IPPs, like AES, play a crucial role in
10 mitigating that by building renewable energy facilities
11 within Virginia. This increases supply, supports local
12 economic growth, and ensures affordable energy for our
13 customers and all ratepayers.

14 Additionally, the point about energy storage
15 in capacity markets. So with the accelerated renewable
16 buyers only being able to purchase energy, not storage
17 in capacity markets, the suggestion was made of perhaps
18 allowing enhancements to how storage capacity is
19 credited.

20 Such a change could enhance grid reliability
21 and encourage broader adoption of energy storage
22 solutions and perhaps get to some of the intermittency
23 concerns that were expressed earlier today.

24 So AES supports this recommendation and is
25 prepared to work with the Commission and our customers

1 to meet this market demand.

2 Additionally, JLARC highlighted that we may
3 need 16 gigawatts of solar in the half-of-unconstrained
4 scenario. However, one thing that we see is
5 inconsistency between local permitting processes
6 significantly impeding the deployment of solar energy
7 projects.

8 Our challenge is not finding customers who
9 need energy, but finding localities willing to approve
10 the development of solar facilities. The solar
11 ordinance inconsistency between localities and
12 unpredictability in solar siting within localities is
13 crippling the deployment of renewable energy
14 infrastructure, hindering the commonwealth's ability to
15 meet its energy and climate goals and keep rates
16 affordable.

17 To address these issues, AES supports
18 establishing clearer guardrails for localities on how
19 to regulate ground-mount solar.

20 Further, co-location of renewable energy
21 projects with other infrastructures such as data
22 centers offers a promising strategy to mitigate this
23 risk. By strategically locating solar facilities near
24 load centers or data centers, we can minimize
25 transmission costs, reduce infrastructure delays, and

1 improve grid reliability.

2 Co-location would balance increased demand
3 from data centers while supporting Virginia's clean
4 energy objectives.

5 However, co-location also requires siting and
6 permitting clarity. So Virginia's energy future
7 depends on a coordinated effort to address load growth,
8 streamline local permitting, and implement policies
9 that support renewable energy development.

10 AES will continue to partner with regulators,
11 localities, and consumers to develop in-state renewable
12 projects, advocate for standardized local permitting
13 processes, and support policies that promote
14 cost-effective, reliable, and clean energy.

15 Thank you for your leadership and for the
16 opportunity to contribute to these important
17 discussions.

18 JUDGE BAGOT: Thank you.

19 Thank you all for your introductory remarks.

20 With that, I'm going to pass it off to you,
21 Judge Towell, to get us started.

22 JUDGE TOWELL: Thank you, Judge Bagot.

23 Over the course of the day, and in a number
24 of the opening comments that have been provided in
25 advance of this afternoon's discussion, there have been

1 a number of possible tariff provisions that have been
2 mentioned.

3 I'd be interested in hearing from the
4 panelists, which one or two do you believe are, kind
5 of, most critical or fundamental for just, kind of, a
6 successful way of handling some of these dynamics
7 associated with large load customers, and as large load
8 customers, which tariff provisions you feel are, kind
9 of, best aligned with how you operate your business.

10 And conversely, which types of tariff
11 provisions that have been mentioned would present real
12 challenges either to some of the utilities or co-ops,
13 and to some of the customers that we've got here on the
14 panel.

15 I'll let anyone take to the first bite.

16 Mr. Jaramillo?

17 MR. JARAMILLO: All right. So in regards to
18 tariffs, I believe we've heard a lot of past panelists
19 talk about mandatory MBRs for large customers. I think
20 that's a position that NOVEC would support.

21 I would not call it a data center tariff. I
22 would call it, you know, a load characteristic. You
23 know, certain load factors are megawatts, and have them
24 be at the market and also make sure that the utilities
25 are contracting for any investment, and they're going

1 to get that back in a reasonable, you know, period of
2 time, if not immediately.

3 JUDGE TOWELL: And would there be any sort of
4 provision that you see as particularly more challenging
5 from the co-ops standpoint that's been mentioned or
6 discussed either here or in the pre-published comments?

7 MR. JARAMILLO: Well, I'll separate those two
8 issues. So there's the infrastructure agreement, and
9 then there's the power supply side.

10 The power supply side being the more
11 challenging side as they talk about the, you know,
12 hundreds of millions of dollars that these bills can
13 accumulate to in -- during an extreme event.

14 So you would have to address that through
15 very strict credit and collateral requirements, and
16 depending on who the counterparty, the customer is, if
17 you're dealing with an investor-grade data center, you
18 know, that comfort level is pretty much there if you're
19 dealing with a parent company.

20 But you -- also, someone suggested if they
21 put up a single-purpose LLC, that should raise some red
22 flags, and you need to make sure that you put in the
23 correct credit and collateral requirements when dealing
24 with such an entity. So that is a challenge on the
25 power supply side.

1 JUDGE TOWELL: Thank you.

2 Mr. Vaughan?

3 MR. VAUGHAN: So when I think about tariff
4 provisions, there's three of them that are really
5 closely interconnected. Those would be the term of the
6 agreement, the financial obligations that the customer
7 is undertaking in that agreement, so probably your
8 minimum billing or your exit-fee-type calculation, and
9 then how are you collateralizing those obligations?

10 So, like, those three together form the
11 backbone of existing customer protections and having
12 the adequate -- I've heard the term skin in the game
13 mentioned today, from the prospective customer's point
14 of view, and it's giving the utility the assurances it
15 needs to go before its regulatory body and say, hey --
16 I need to go, here's a CPCM application for this
17 infrastructure, and here's what's backing that up to
18 ensure you that it is real.

19 We've heard load forecasting mentioned quite
20 a bit today. The way AEP is including these new, large
21 loads in its forecasts that we have a signed agreement
22 out through, I think, the end of this decade for any
23 large load additions that are going into our load
24 forecast in our PJM region.

25 From a tariff provisions that I wouldn't care

1 to see, in my mind, we've also talked about whether
2 potential rate classes could be discriminatory to a
3 certain industry.

4 I'm a long-time rate nerd, and these -- the
5 data centers, to me, look exactly the same on paper as
6 a gas processor or a high-load factor primary metal
7 customer. It's a big, flat block of load. And so if
8 you didn't say data center on it, I wouldn't know it's
9 a data center.

10 So I don't -- the way we've been proposing
11 things in our vertically integrated states, is that it
12 should just be with the rest of our established
13 industrial class, and you're going to have cost
14 allocation swappables that you always do, and
15 inter-class, and then you're going to have intraclass
16 issues on the rate design. But there's always going to
17 be push and pull between high-load factor and
18 lower-load factor customers within a population, so.

19 JUDGE TOWELL: Mr. George?

20 MR. GEORGE: Yeah, I would agree with a lot
21 of what Mr. Vaughan said.

22 I think the term piece is key, as was
23 mentioned in your opening testimony, and also in mine,
24 I believe.

25 In INM, we got to 80 percent over 12 years

1 for the minimum demand charge as part of that term, in
2 addition to significant upfront collateral
3 requirements.

4 I think those are all terms that we can
5 generally live with, provided that they make sense for
6 the system that we're looking at. I don't want to
7 repeat myself, but again, as I noted in the last panel,
8 I think any creation of a new specific customer class,
9 based on that type of specific customer, would be
10 problematic.

11 And so, again, would like to see how those
12 additional provision term financial obligation
13 collateral --

14 I like the way you framed it up.

15 Can start to address the utility risk, and
16 frankly -- and -- I think the utilities are in the best
17 position to do this.

18 Like, we need to know what types of
19 collateral you need to see, right? What is it going to
20 take to make you comfortable with the financial risk
21 that you're taking on? And then we can come to the
22 table. But I would -- I would bucket those three as
23 things that are generally a better starting point.
24 Thank you.

25 JUDGE TOWELL: So, Mr. Smith.

1 MR. SMITH: So I'd say that Tract is aligned
2 with the MBR, market-based rate, and especially as Mr.
3 Gaskill from Dominion explained, it's used to protect
4 ratepayers. In terms of the energy itself and how you
5 will find different entities that use LLCs or parent
6 companies, really the focus should be the collateral.

7 If there is a company that has the collateral
8 that can be put up to protect the ratepayer, then that
9 should be more than acceptable. So it's just
10 ultimately determining what level of collateral that
11 particular customer has to put up and what level or
12 what type of collateral the utility accepts.

13 But, ultimately, again, in terms of the
14 tariffs, MBR works very well, and the collateral is not
15 only going to be the key to just energy discussion, but
16 also the infrastructure part of the discussion as well.

17 JUDGE BAGOT: So to -- follow-up question on
18 that, talking about, sort of, tariff provisions that
19 can help mitigate a forecasting risk, mitigate stranded
20 asset risk, you're talking about, you know,
21 opportunities to be more stringent with respect to
22 collateral, collateral requirements.

23 Looking at minimum bill provisions, exit
24 fees, collateral, based on today's discussion, it
25 sounds like -- and the AEP settlement I think comes

1 into play a little bit -- based on the discussions
2 today and what I'm familiar with, it seems like most of
3 these are around energy costs, your energy bill, and
4 then there's minimums around, you know, different
5 percentages based on that.

6 Is there a need to pull in other
7 infrastructure costs into that, both from a forecasting
8 risk mitigate, but also a stranded asset risk mitigate?

9 And when you're looking at significant costs
10 like transmission, which we've talked about earlier, is
11 very difficult to parcel out, what would that look
12 like? How would we start to look at, you know,
13 protections and tariff provisions that would look at
14 transmission investment risk?

15 Sure, Mr. Vaughan, kick us off.

16 MR. VAUGHAN: Certainly. So I can tell you
17 how the AEP companies look at it. And we -- from a
18 tariff provision, you're right, it's centered a lot
19 around generation capacity, right? If the energy goes
20 away for whatever reason, right, we're either not
21 incurring a purchase or we're -- maybe we're not
22 dispatching something, like, that's all left up to the
23 wholesale market.

24 So you can think of that as variable in
25 nature, but the generation capacity piece is not.

1 They're from a -- there's a transmission component to
2 that minimum charge as well.

3 But when you think about the actual
4 transmission infrastructure, the way we deal with it
5 is, so you have a large load coming to us, I need you
6 to build me 300 megawatts here, and I want it on this
7 timeline, and so we will typically sign a letter
8 agreement for that transmission infrastructure, the
9 studies that have been mentioned, the long lead time
10 infrastructure we have to purchase so that we can be on
11 the customer's timeline, and that agreement is
12 separately collateralized.

13 So if we were to build that line and the
14 customer not show up, they have purchased a very
15 expensive extension cord at that point, and then you
16 have the discussion around regional transmission
17 expansion, right? And the not-so-bright line between
18 federal and state rate making there, right?

19 I think you're going to see cases at FERC on
20 how we deal with this, and I know -- I believe there
21 was an Exelon filing that was made around this. It was
22 deficient, but they're going to re-file, is my
23 understanding.

24 So I think it's going to come up in the
25 federal discussion, and then it's going to be on the

1 transmission owners to follow up with that. But, you
2 know, that's a very hard.

3 As was mentioned in the last panel, I said,
4 well, this portion of the outside-of-the-zone project
5 that was built because of your load expansion is on
6 you, so it's always going to be a question of cost
7 allocation. And, you know, right here, as we sit here,
8 we can -- we can handle the retail piece, you know, and
9 make sure we have adequate protections there to
10 insulate our customers.

11 JUDGE BAGOT: Do you think having a minimum
12 energy bill or exit fee around those costs is
13 sufficient to address, I'll say, forecasting risks in
14 terms of the skin in the game, you know, wanting to
15 make sure that forecasts are accurate and that load is
16 going to show up, but then also from a stranded asset
17 risk?

18 Do you think that paradigm that we have,
19 taking out the transmission investment piece, is that
20 sufficient, or do we need to look at bolstering that?

21 MR. VAUGHAN: We need to bolster from what we
22 have today. What we have today in our tariff is not
23 sufficient to cover -- to cover stranded cost risk from
24 expanded system. Because, I think it was also said in
25 the last panel, like, if you think about how we're

Transcript of Hearing
Conducted on December 16, 2024

220

1 situated today, every load addition is an expansion in
2 capacity, whether it's G&T or just G, there's going to
3 be initial infrastructure, whether the utility builds
4 it or some of the market's going to have to build it.
5 You know, I won't go into that.

6 But there's going to be additional
7 infrastructure, and so we need to look at these terms
8 that have been in place for decades in a system that's
9 been largely highly generation capacity sufficient for
10 four decades. Right? I mean, there's been general
11 length, and -- at least in our system, since the '80s,
12 and that's not the case anymore. And that's when these
13 tariff provisions were put in place.

14 JUDGE HUDSON: So to continue the
15 conversation about tariffs, Mr. Robb, in the previous
16 panel, talked a lot about the importance of studies,
17 and we needed a lot of studies, whether they're
18 transmission studies or feasibility studies.

19 And so I guess my question for the panel is
20 should tariffs include provisions that are require the
21 data centers to fund feasibility studies,
22 infrastructure upgrades, or even contingency reserves
23 to protect the grid?

24 Don't all answer at once. Mr. Smith?

25 MR. SMITH: I'll give it my best shot. In

1 terms of the studies, I would say Tract and the
2 industry from our perspective is more than willing to
3 fund the studies. The studies mean two things. I'll
4 put my utility hat on.

5 In terms of the studies, what it means to the
6 utility is their ability to deliver for the customer.
7 What is the infrastructure investment that we have to
8 make in order to be able to meet this particular
9 customer's load ramp? It means something a little
10 different for the customer. That study to the customer
11 determines if they're going to do business with that
12 particular utility, or do business with that particular
13 cooperative, or do business in that particular state.

14 So that's the question that the customer, the
15 lowest load user, has to ask: does the information
16 from this study give me the certainty that I need to
17 continue the development to be able to make
18 multi-billion dollar decisions and determine if I want
19 to be here?

20 We're talking about investments that are 15
21 and 20 years in length. So a large-load user, a large-
22 load developer, they need to see a path and runway to
23 ensure that their multi-billion dollar investment can
24 actually thrive.

25 So what happens if a utility underdelivers,

1 that becomes problematic as well. It's not a situation
2 where, oh, they underforecast it, so I'll just wait for
3 the next load to show up.

4 But underforecasting creates strain of assets
5 for the developer. So you can be in a position where
6 you're planning this multibillion dollar campus, but
7 the utility is not able to deliver anywhere with what
8 you need. Thus, you've gone through this process to
9 get your land zoned and titled, you've talked about
10 taxes, what can be collected, timelines that they can
11 expect it, and these things don't get met.

12 So to put -- to put a button on this, yes,
13 pay for the studies. In terms of the upgrades, it gets
14 a little more complex.

15 So we heard today that a customer may ask for
16 a gigawatt of infrastructure. But the utility will
17 build towards what's the meter load. So that presents
18 also a challenge for a customer.

19 So if you're at a point where you're a
20 customer and you're paying for upgrades, you want to
21 pay for those upgrades in advance. You want to pay for
22 those upgrades before those upgrades are needed so that
23 you can continue to grow at scale. Having to wait four
24 years or five years for upgrades to occur, such that
25 you can now make good on that development that you got

1 zoned and thus be able to deploy that capital in time
2 to meet all the promises that you made, that -- there
3 has to be an alignment there.

4 So, again, if upgrades are being paid for,
5 it's the customer or the developer, or the large load
6 user, that's paying for the ability to have access to
7 the capacity that's needed for them to grow at the
8 scale that they believe they can grow and not just in
9 utility.

10 JUDGE HUDSON: Thank you.

11 So, Mr. George, let's go back to co-location.
12 And my question is really simple. It's, how feasible
13 is the co-location of electric generation facilities
14 and their data centers to alleviate the strain on the
15 system?

16 MR. GEORGE: Yeah, thank you for the
17 question. I -- so it all depends on location. It
18 depends on the structure of the state where we're
19 building a facility.

20 And so I think, you know, there are certain
21 places where it could make sense, right? And what I'm
22 thinking about is more like, are there places where you
23 can reduce interconnection costs for an interconnecting
24 load and an interconnecting generator based on
25 co-locating near the same transmission delivery point.

1 Right?

2 And I think that's where the real opportunity
3 is, is how do we lower those interconnection costs for
4 both sides of customers? And so I think right now we
5 are currently looking at places all across the U.S. to
6 do this. I think Virginia is somewhat unique, just
7 given its regulatory structure.

8 That said, in the vein of partnership, right,
9 to the extent there are opportunities to partner with
10 our utility and third-party developers, it's something
11 we're happy to consider. But it does depend very
12 significantly on, sort of, the regulatory structure and
13 just availability of transmission in a certain spot.

14 JUDGE HUDSON: Thank you.

15 Mr. Vaughan?

16 MR. VAUGHAN: Yeah, we've mentioned today --
17 it's been mentioned a couple of times -- about them
18 having the five-nines of reliability for your regular
19 cloud computing data center and having one-to-one
20 diesel backup on site. Right?

21 So you have co-located generation, but it is
22 permitted in a way that it can't be used unless there's
23 a system emergency. Right?

24 And so there's opportunities there that if
25 you're -- if you're looking to co-locate, and maybe

1 break down some of that incremental costs, can you,
2 maybe, put in aeroderivative gas CTs or some other
3 storage, some -- if it were to be economic for the
4 customer, but some other backup that can carry load
5 that can also be counted as capacity. Right?

6 That's the issue. It sounds simple when you
7 say it, but then let's say you do switch from emergency
8 permitted diesel backup to an aeroderivative CT. Now
9 they have the same permitting timeline as the utility
10 does with air permits and queue issues and all of that.

11 So there's opportunities and synergies there,
12 but it's not a panacea. Right? I mean, you're going
13 to run into some of the same lead times. And I'm not
14 going to speak for their industry, but I think, like,
15 their talk about speed to market and waiting that long
16 to get to the queue and to get your air permit on
17 something that's able to run more is probably
18 problematic.

19 JUDGE HUDSON: Yes, Mr. George?

20 MR. GEORGE: Yeah, I just want to respond
21 real quickly. I agree a hundred percent that it's not
22 a panacea, and it should not be looked at that way. I
23 think, you know, in large part, the co-location and
24 co-development that we are seeing is in response to
25 things like queue times and permitting challenges.

1 And so in an ideal world, we have robust
2 planning processes that allow for us to build
3 generation, the utilities to build generation on a
4 timeline that we need to see it. And so, again, that
5 gets back to the -- to the collaboration point. Like,
6 that there is a way that I think large loads can bring
7 with them generation to match the load that they're
8 bringing to the system, but agree fully that it should
9 not be viewed as a panacea.

10 JUDGE HUDSON: Mr. Jaramillo?

11 MR. JARAMILLO: I just wanted to
12 comment -- and you heard from the gentleman from
13 Loudoun County from the panel, from the past panelists
14 -- there is a situation where our data center has built
15 on-site natural gas generation, and they went through
16 the air permitting process in quite record time, I
17 would say, and they did not go through a CPCM like a
18 utility would. They did it on-site, and it's running
19 24/7.

20 JUDGE HUDSON: Thank you.

21 Mr. Crenshaw?

22 MR. CRENSHAW: Yeah. The only other point
23 I'd make is that, as we've seen data centers start to
24 spread out from their traditional hubs, that
25 co-location with renewables becomes more feasible.

1 Additionally, as you -- storage is starting
2 to become more economic, that the addition of storage
3 and solar together will be something that will be more
4 feasible as we go forward.

5 JUDGE BAGOT: On the -- on the co-location
6 piece, is there, to the extent you know in Virginia,
7 would there -- for it to truly be a viable option, are
8 -- would there need to be changes to our retail choice
9 provisions?

10 Because I'm assuming if you're talking about
11 a new customer and a new generation, it seems unlikely
12 that that arrangement would be flowing -- or in
13 conjunction with an existing utility service provider.

14 Maybe that's not the case, in which case
15 maybe you can tell me how you think that might work.
16 But if you can talk a little bit about how the retail
17 choice provisions in Virginia might play into the
18 availability of co-location?

19 MR. GEORGE: Yeah. I'm happy to speak to
20 that briefly. I mean, I think, you know, a lot of it
21 depends on the terminology around co-location. I've
22 noticed that it can mean 17 different things, depending
23 on who you're talking to.

24 But in general, I think if we're talking
25 about co-location in front of the meter, right, a

1 resource that the grid operator can see, I think there
2 are, for existing retail choice customers or advanced
3 renewable buyer customers, there are options to do that
4 today. I don't really know what would need to be
5 altered significantly to take advantage of that.

6 I do think there could be more opportunities
7 to potentially contract with resources outside of
8 Virginia to meet Virginia load that may require
9 additional tariff provisions. But that -- I don't --
10 based on existing statute, I think that option would be
11 pursuable today.

12 JUDGE BAGOT: All right.

13 JUDGE TOWELL: Mr. George, if I remember
14 correctly from your prepared comments, you referenced
15 some of the work that Google has done down in South
16 Carolina with respect to winterization. I think you
17 also referred to some of that in your opening comments
18 today.

19 Can you help me kind of understand Google's
20 position, or any data center's position, on how to
21 incorporate those types of activities in a more
22 broad-based, traditional utility dynamic?

23 I can certainly understand a lot of upside
24 for lots of reasons why a company would be interested
25 in doing that. But once we get within this building,

1 some of those dynamics are a little more challenging
2 when we have to kind of move through the utility to get
3 to the customer to see how we could realize any of
4 these benefits.

5 MR. GEORGE: Yeah. Thank you for the
6 question. I think what's really unique about the types
7 of investments that we're making in South Carolina and
8 in Indiana, and actually here in Virginia, is we're
9 using our money to fund that, right?

10 And so we're not using additional ratepayer
11 money or money that has been set aside for other, you
12 know, purposes from other sources, right? We're taking
13 direct corporate funding to provide that and directly
14 inject it into the system.

15 I think from our perspective, we would be
16 happy to see those grow and become more scalable. I
17 think that's one way to more directly use our
18 investment to support the system. And I think we would
19 be happy to do that.

20 I don't -- you know, it's -- I don't want to
21 speak to how that can translate directly into, sort of,
22 increased utility participation; it's a little outside
23 of my lane. But I think for our purpose in this
24 conversation, I think additional direct funding from
25 corporate off-takers is an opportunity to scale up

1 those programs with more significance.

2 JUDGE TOWELL: Mr. Vaughan?

3 MR. VAUGHAN: Just to clarify, that the
4 funding Mr. George was talking about in the Indiana
5 example, is that outside of utility programs.

6 JUDGE TOWELL: Correct.

7 MR. VAUGHAN: So they're providing a
8 community action group that's going to make that
9 happen. So whatever gets done with that money isn't
10 subject to the same type of cost benefit, payback
11 tests, and whatnot that's in the code here when we --
12 utility comes in and proposes energy efficiency
13 programs. So two different lanes, you know, to try and
14 -- try and drive the same thing.

15 JUDGE TOWELL: Thank you.

16 JUDGE HUDSON: What would be helpful for me,
17 Mr. George, you brought up South Carolina, you brought
18 up Indiana.

19 If the entire panel can, kind of, talk about
20 some of the lessons they can learn from other
21 jurisdictions that, kind of, successfully implement
22 some collaborative solutions to some of the challenges?

23 MR. VAUGHAN: I can kick it off.

24 MR. JARAMILLO: We would have to pass on that
25 since we're strictly Northern Virginia.

1 MR. VAUGHAN: That's fair.

2 Lessons learned. I think -- I think some of
3 the big lessons learned we've seen throughout the
4 process start with some of the earlier conversations,
5 the analytic forecast. And I absolutely agree.

6 And I can't remember, it might have been on
7 the first panel, one of the gentlemen from Dominion
8 talking about that we might have five customers all
9 putting the same project in the queue or whatever. And
10 having the right framework in place and having the
11 right financial commitments, it narrows that down,
12 right?

13 And so you end up with who has the option on
14 that land, who is willing to make the financial
15 commitments to do the studies, to contract for the
16 infrastructure, to move it ahead. So I think, in my
17 opinion, that's the best practice. We've seen this
18 happen across multiple states and kind of come to the
19 same conclusion there.

20 I think other lessons learned is, like, it
21 goes back to some of our comments earlier. I think
22 these large-load opportunities should be taken as that;
23 they're large-load. Don't say it's a tariff for one
24 industry, right? Go back to Mr. Brombrind's (phonetic)
25 principles and do that. It's more of a -- more of a

1 collaborative environment, then, rather than
2 adversarial.

3 And then, you know, we've been able
4 to -- we've been able to come up with protections that
5 the industry, and the utility, and the consumer
6 advocates have all agreed on. So I think having those
7 three distinct points of view come to agreement is --
8 it's very helpful. I'm really hoping that it gets
9 approved, and you might see something like it in
10 Virginia in the near future, but, you know, from
11 Appalachian Power Company.

12 But those -- I guess those would be my
13 lessons learned.

14 JUDGE HUDSON: Mr. Crenshaw?

15 MR. CRENSHAW: Sure. So I think that it's
16 hard for me to point to a specific example. But I
17 would say even within Virginia, I think one of the
18 things that's made -- that's been successful for
19 customers and suppliers like us is the flexibility that
20 we're allowed with having a market structure.

21 And so having the ability -- you know,
22 customers have the ability to manage their costs within
23 this market structure. And so having a flexibility on
24 what their tariff structure is or what their costs are
25 allow us to structure solutions for them from renewable

1 assets that, kind of, meet their needs.

2 And so I think that has worked here. It
3 works in other RTO-type markets, as well, where we've
4 had structured transactions that fit the customer's
5 individual cost structure specific -- or, precisely, or
6 as well as they can.

7 But I'd say that's one of the success
8 stories, lessons learned, or good features of Virginia.

9 JUDGE HUDSON: Thank you.

10 JUDGE BAGOT: So since you did not have an
11 opportunity to talk about outside of the jurisdiction,
12 Mr. Jaramillo, I will ask you.

13 There was a little bit of a discussion
14 earlier about -- with some of your co-op counterparts
15 about needing to make certain changes, or certain
16 changes would be helpful, like aligning payment and
17 billing, or more frequent payment and billing, other
18 sorts of things like that, or increased collateral, or
19 -- I'm trying to think of some of the other things that
20 were mentioned.

21 But from your experience, do you see need for
22 improvement in those areas? I know one of the things
23 that was also talked about today is that, sort of, the
24 nature of these data center customers is changing a
25 little bit from what the first round, first wave of

1 data center customers might be.

2 So do you see a need for, sort of, more
3 robust, or changes to, the parameters that have been
4 working for NOVEC? Or do you see them continuing to
5 work well into the future, even with these new data
6 center projections?

7 MR. JARAMILLO: So NOVEC, we energized our
8 first data center in 1998 with AOL. So we've been
9 working with these data centers since then. And our
10 contracts have evolved over the years.

11 But through our power supply agreement -- our
12 retail's power supply agreements, we tried to cover, we
13 think, all those issues that you have raised,
14 collateral, credit requirements, weekly billing,
15 transmission costs, PJM costs, you know, parent
16 guarantees.

17 And we've also separated that agreement from
18 the infrastructure agreement, the electric service
19 agreement, where that focuses on the local
20 infrastructure, the substation, the delivery costs.

21 So I don't know of any improvements that we
22 would do -- that we would need at this time, because we
23 try to address them as they come up.

24 JUDGE BAGOT: Okay. Thank you. Appreciate
25 that.

1 JUDGE TOWELL: I have a broad follow-up
2 question about NOVEC's experience in particular. I
3 believe in some of your prepared comments, you note
4 that in eight years, you forecast that NOVEC's data
5 centers will comprise -- and I believe I have this
6 right -- more than 95 percent of NOVEC's energy sales?

7 MR. JARAMILLO: That is correct.

8 JUDGE TOWELL: What, if anything, do you
9 believe -- how, if at all, do you believe that that
10 volume of load is going to, or has the potential to,
11 change the very nature of what it means to be a
12 cooperative in Virginia?

13 MR. JARAMILLO: Well, so that's going to
14 probably represent maybe 70 customers or so. But we
15 still have 183,000 customers that we serve. So we're
16 very much a cooperative still.

17 The -- but you're right. You know, 95
18 percent of sales coming from just a few customers is
19 very concerning, but there's also great opportunity for
20 the rest of the membership as well.

21 JUDGE TOWELL: Thank you. And then a -- kind
22 of a follow-up question is also related to the data
23 center load that I believe you mentioned in your
24 remarks, and then at currently it's only 40 percent of
25 contracted capacity.

1 What accounts for that kind of ramp dynamic,
2 and how long is it on average?

3 MR. JARAMILLO: Yeah, so we were very
4 specific to state that in our testimony because you
5 hear different, you know, different thoughts on load
6 forecast. Load forecast is such a big topic today.

7 So the hyperscalers, you know, the big
8 end-use data center customers who are building for
9 themselves, they ramp up very quickly. What I call the
10 REITs or the, you know, the hotel, the co-location data
11 centers, the speculative ones, they have a whole
12 different ramp.

13 And I think various colleagues have said, you
14 know, they're all competing for the same business, only
15 one's going to get it. So the other ones may have to
16 wait until the next contract at the end that they're
17 awarded. So they have different ramp schedules.

18 But overall, if you just look at all the data
19 centers we serve, at that particular time, that's where
20 we're at. Next year, it may be different, you know,
21 depending on what type of data center we're hooking up.
22 Suddenly, they range the gamut from, you know, 20 to 70
23 percent of what their contracting capacity is.

24 JUDGE TOWELL: Okay. So just so I'm clear on
25 that component, that 40 percent isn't a number that is

1 going to necessarily increase next year as more data
2 centers ramp up more fully because you're continuing to
3 have contracted entities adding in the out years; is
4 that correct?

5 MR. JARAMILLO: That is correct. I mean, you
6 heard a figure of one of the co-ops that had ordered,
7 like, 29 power transformers. Well, we have twice that
8 on order for the next ten years.

9 JUDGE TOWELL: Okay. Thank you.

10 JUDGE BAGOT: Really quickly, I want to go
11 back to the discussion earlier; we were talking about
12 whether data centers look different than other types of
13 industrial customers in the GS and GS-3 and GS-4
14 customer classes.

15 And earlier today, in response to
16 Judge Towell's question about, sort of, what makes data
17 center customers different, there was a discussion
18 about their ability to react with respect to maybe
19 demand response or other sort of responses to changing
20 energy needs on the system.

21 And so I'd like to hear from you all. One,
22 what are data centers' ability to engage in demand
23 response and other, sort of, demand-side management
24 activities? Is that -- does that make a difference,
25 truly, or is it just sort of on the margin? And is

1 that a basis for differentiating data centers from
2 other industrial customers?

3 Mr. Jaramillo?

4 MR. JARAMILLO: To date, the data centers
5 that we serve do not participate in demand response
6 programs for the mere fact that their air permits do
7 not allow them to do that. They do not put the
8 necessary scrubbers on the diesel generation, so they
9 are restricted to the hours they can run for emergency
10 purposes.

11 JUDGE BAGOT: Okay. So meaning that they
12 don't use their backup generation, sort of, to peak
13 shave or reduce their demand at the meter?

14 MR. JARAMILLO: Absolutely.

15 JUDGE BAGOT: Okay.

16 MR. JARAMILLO: They do not.

17 JUDGE BAGOT: And then they don't engage in
18 any, sounds like, other, sort of, adjustment to their
19 meter demand? They -- it is -- their load is what
20 their load is, and there's no other capability that
21 they have to be responsive?

22 MR. JARAMILLO: No, they can move their load
23 from one data center to another data center in another
24 state. They could bring down their operation here and
25 bring up an operation somewhere else. I mean, that's

1 the whole idea of redundancy for -- with these data
2 centers.

3 JUDGE BAGOT: But that's not something that
4 you typically have --

5 MR. JARAMILLO: We have not seen it.

6 JUDGE BAGOT: -- seen? Thank you.

7 Mr. George?

8 MR. GEORGE: Yeah, so a couple thoughts. I
9 think there -- the opportunities for demand -- or for
10 data centers to be flexible don't immediately and only
11 mean we have to run our diesel gen sets, right?

12 As Mr. Jaramillo mentioned, we do have the
13 ability now to shift workloads across servers. Right?
14 Since -- for Google, we've been doing this since 2020,
15 it's on our carbon intelligent compute ability. But it
16 enables us to shift certain non-essential workloads to
17 different regions as it was designed based on carbon
18 intensity of a certain grid.

19 Fast forward, right, we have been able to
20 translate that to an ability to not just shift workload
21 to the two regions, but actually reduce workloads at
22 facilities in response to pre-emergency conditions.
23 Right?

24 If we -- if we see that we are starting to
25 face constrained operating conditions, we have worked

1 with our utility and RTO partners to actually reduce
2 capacity at that facility without relying entirely,
3 right, on diesel gen sets.

4 And so I just -- I frame that up in a way
5 that, like, I think there is opportunity here to think
6 about, what does a protocol look like when we are
7 facing pre-emergency conditions?

8 I say pre-emergency because I was at PJM last
9 week and we kept referring to emergency conditions, and
10 they said no, it's pre-emergency.

11 And so I think if we can align with our
12 utility partners, our co-op partners and the grid
13 operator as to what that type of framework would look
14 like, how we would respond, what the steps to follow
15 are, I think there's a lot of potential to be a more
16 traditional, sort of, load reduction type resource.

17 JUDGE BAGOT: Mr. Vaughan?

18 MR. VAUGHAN: I'll just briefly add that, I
19 mean, again, when you're looking at data centers versus
20 traditional industrial, right, there's, within the
21 other traditional industrial segments, I mean, there's
22 certain operations that are willing to do DR and there
23 are certain that aren't, you know?

24 I mean, one primary metal operation may not
25 have the technology to do it. It may ruin -- you know,

1 a multiple-hour eruption may ruin their infrastructure.
2 And so, like -- to Mr. George's comments, you've got to
3 align what the new data customers may be able to do
4 with the RTO rules as well. Like, well, they may be
5 able to move something around. If PJM calls a 20-hour,
6 you know, capacity performance interval, can they --
7 can they really drop for that long? Does that fit with
8 their business model? So it's all a matter of getting
9 the right -- the right programs and the right rules in
10 place.

11 JUDGE TOWELL: How common is that ability to
12 shift work from one footprint to another? And, you
13 know, I kind of ask this of everyone.

14 Again, Mr. George, because those of you that
15 are in the kind of power supply business have
16 potentially expertise with other facilities that may
17 have this ability or may not. And those of you in,
18 kind of, -- in the other parts of this space may have
19 had some experience with this and trying to figure out
20 how commonplace or unique this particular feature is in
21 the data center space.

22 MR. VAUGHAN: I can tell you from our
23 perspective, we don't have the experience yet with the
24 data customers moving that around.

25 Our large demand response programs, our

1 traditional industrials either interrupt their process
2 or bring on cogeneration. Right? It's mostly
3 interruptions, so they're not shifting the work
4 somewhere, they're taking a shift off to reduce
5 operations.

6 JUDGE TOWELL: Okay. Thank you.

7 JUDGE BAGOT: How does -- and this really,
8 truly, is an education moment for me, talking about
9 shifting your load from one location to another for
10 pre-emergency conditions or otherwise.

11 How does that factor into, sort of, the
12 larger discussion we've been having about load
13 forecasting. Right? Not all load is the same
14 depending on where it is on the system.

15 It also seems to me that if there's a
16 redundancy in two -- in having multiple locations, that
17 that might have rate implications in terms of
18 recovering system costs if, ultimately, you're using
19 less than you thought you would because you have a
20 redundancy.

21 So, Mr. George, I'll direct it at you, but to
22 the extent others have insights into this, I'd be
23 curious to know how that operability does come into
24 play with these other questions we've been addressing
25 today, if at all.

1 MR. GEORGE: Yeah, it's a good question.
2 Thank you.

3 So I'm going to zoom out for a second and
4 maybe talk about, sort of, the broader siting decisions
5 in the first place, right? If you think about the
6 types of services that we're providing, we are
7 providing our services in response to customers.

8 And so depending on the type of customer that
9 is, for example, for us, if it's a Google Cloud
10 customer, they have very strict latency requirements on
11 their product. And so that does drive us to invest
12 within certain physical locations, right? It's why you
13 continue to see investment in Loudoun County and
14 elsewhere in Virginia.

15 And so you're always going to have some
16 element of the workload that is going to be sensitive
17 to that distance from the customer.

18 And so maybe moving forward to your question,
19 I almost like to think about it in terms of, like, peak
20 workloads and base workload, right? We're always going
21 to have some level of constant base workload that we're
22 going to have to plan for.

23 The peak workload that we can shift around is
24 relatively small. Right? And so I think we're just
25 now getting to the point where we're adding significant

1 amounts of megawatts of load to really see what those
2 long-term, like real, sort of, grid peak shifting
3 opportunities are in terms of infrastructure
4 investment.

5 But I do think -- I do think there is some
6 opportunity on the margin. We're just -- we're still
7 kind of learning as we as we -- as we go to the extent
8 how, sort of, long-term that shifting ability can be,
9 and, like, if it can actually impact infrastructure
10 investment.

11 JUDGE BAGOT: Thank you.

12 JUDGE TOWELL: Just a quick follow-up on
13 that. And I'm not asking you to speak for another
14 member of the community, but I did see in the JLARC
15 report that an unnamed data center customer I said -- I
16 believe said something along the lines of, well, there
17 may be some opportunities for, you know -- I think it
18 was largely in the discussion of demand response -- but
19 said at the end of the day, a 200-megawatt data center
20 is going to be a 200-megawatt data center.

21 It sounds that -- it sounds as though for
22 certain business models, it's important to have a level
23 of redundancy in order to keep some things moving
24 forward.

25 But has that been the experience that most

1 people have seen, is that data centers are going to
2 plow back in any efficiencies into the existing systems
3 that are built? So in the end of the day, there's not
4 going to be a lot of extra available. Is that correct?
5 Additional capacity in any particular facility. You
6 build to your maximums.

7 Mr. Smith?

8 MR. SMITH: So I say that's the -- that's the
9 intention. And there are limitations in the past that
10 have prevented data centers from being able to reach
11 their maximum capacity. But where we are today, that
12 is being tested.

13 JUDGE BAGOT: Okay.

14 MR. SMITH: It's being pushed to the next
15 level.

16 So whereas, you know, if you were to look at
17 what utilizations look like, maybe four or five years
18 ago, you'd see those, you know, some people hovering
19 around 40, 50 percent. Hence, you start to see rates
20 kind of lie in that area. And then you see a more
21 sophisticated data center probably somewhere in the 60,
22 65 percent range.

23 That's going to change. That, without a
24 doubt, is going to change as, you know, obviously these
25 technologies get more efficient. People figure out how

1 to push the boundaries, how to do more with less.

2 You're going to see those utilizations creep
3 up to even what you saw from perhaps your data center
4 customer four or five years ago. They're now have
5 moved into a new tier of being able to deliver at one
6 time 40, 50 percent, they're now at 60 65 percent. And
7 your customer that was up at 70, 75, you can see them
8 going into the 80-, 85- 90-percent range.

9 JUDGE TOWELL: Thank you.

10 Mr. George?

11 MR. GEORGE: Yeah, and I would just add, I
12 think, again, for now, I mean, we are still planning
13 for the peak. Right? I think as I've heard pretty
14 much everywhere I go, there seems to be almost a
15 thought that, you know, more strict AI kind of training
16 workloads may be more flexible than, sort of, more
17 customer facing workloads. That may be true.

18 And if we get to the point where we're
19 getting significant experience with those types of
20 loads, where we see the impact in a way that could
21 meaningfully change how we plan for that peak, I'm not
22 -- I don't want to say that's off the table.

23 But I do think if we can get some more
24 clarity, sort of, in the near term on what our near,
25 like what those sort of demand reduction opportunities

1 are, I think we have enough confidence if we understand
2 the parameters, if we understand the protocol that
3 we're going to be adhered to when we're facing a
4 pre-emergency-type event.

5 That gives us the certainty that we need to
6 see to be able to actually translate that reduction
7 into system development.

8 JUDGE TOWELL: Thank you very much.

9 JUDGE BAGOT: I have some general questions
10 about how the Commission can be helpful going forward
11 and where you think room for collaboration and
12 improvement exists.

13 One question I want to tee off, though, just
14 to get your general thoughts on before we get there,
15 are -- another issue that came up is making use -- the
16 best use of the system we have now.

17 I think, Mr. George, you mentioned it.

18 But I think it's come up elsewhere today. So
19 if you think about re-conductoring, if you think about
20 GETs, if you think about others, like, dynamic line
21 readings, those type of technologies, how much -- where
22 do those fit into this?

23 How much of a difference do you think they
24 make, and does it change, sort of, our cost-benefit
25 analysis when we're looking at these types of

1 technologies, knowing what we're going to need to do in
2 the future in terms of infrastructure development to
3 meet the growing demand?

4 Has it sort of changed our cost-benefit
5 analysis of where these technologies may or may not be
6 useful or employed?

7 So I welcome any thoughts you all have on,
8 sort of, the role those play going forward.

9 MR. CRENSHAW: So, first, --

10 JUDGE BAGOT: Mr. Crenshaw?

11 MR. CRENSHAW: -- I mean, not from a data
12 center perspective necessarily, but from just the
13 amount of generation that we need to build, I'm
14 surprised that we wouldn't be looking at all those
15 technologies as a way to optimize the transmission
16 system as a table stakes.

17 So from our perspective, we'd be very
18 supportive of grid-enhancing technology, dynamic line
19 reading, that kind of thing. You know, In concert with
20 all of the other Q reforms that are going on.

21 JUDGE BAGOT: Yes?

22 MR. JARAMILLO: I would just echo that. We
23 are very supportive of any GETs, you know, utilization
24 that could be done through dynamic line reading.
25 Anything to -- as we have seen in our comments, we're

Transcript of Hearing
Conducted on December 16, 2024

249

1 very concerned about the transmission costs continue to
2 go up year after year. So anything they could do to
3 pause that would greatly be appreciated.

4 JUDGE BAGOT: Yes, Mr. George?

5 MR. GEORGE: Yeah, and would just add, I
6 think where we have seen deployment of things like GETs
7 here in Virginia, right, we've seen tremendous benefit
8 from that. And so I think we all have an interest in
9 figuring out collaborative ways to move that forward.

10 As I mentioned earlier, this idea of
11 innovative tariff rate structures. Right? If there's
12 an opportunity for us to more directly fund investments
13 in things like grid-enhancing technologies through some
14 type of innovative structure, I think that is something
15 that we're -- we're absolutely open to as well.

16 I would also point back to, you know, a
17 little bit outside of the scope of this discussion, but
18 the challenges around permitting and siting new
19 transmission infrastructure. Seems to me like we ought
20 to be making use of every ounce -- that's maybe not the
21 right word -- but every bit of juice we have on the
22 grid today as it will make those permitting, siting
23 discussions potentially more palatable. Right?

24 If we can go back and say, look,
25 we're -- we've maximized everything we have today

Transcript of Hearing
Conducted on December 16, 2024

250

1 before we've decided that we need to build this new
2 piece of infrastructure, it seems like that could go
3 away -- long way from a permitting perspective.

4 JUDGE BAGOT: Are there examples of those
5 sorts of innovative tariff structures that you've seen
6 in other states that have worked well that you could
7 point us to --

8 MR. GEORGE: Yeah.

9 JUDGE BAGOT: -- as an example?

10 MR. GEORGE: Yeah, so the first one that
11 comes to mind is, I mentioned earlier our investment in
12 the FERVO enhanced geothermal asset in Nevada. That,
13 of course, was a generation resource, but we were able
14 to do that investment through a structure that we
15 called the Clean Transition Tariff.

16 This was done in partnership with NV Energy,
17 who is the utility there, and subject to approval by
18 the PUC of Nevada.

19 We think there -- that is a tool that could
20 be replicated to address investments in things like
21 grid enhancing technologies, and I'd be happy to follow
22 up in our post-conference comments about what that
23 could look like.

24 JUDGE BAGOT: Thank you.

25 All right. I was going to jump to just a

1 general question about -- so we've heard -- one of the
2 -- one of the themes, I think, we've heard today is
3 greater coordination and collaboration in terms of
4 information sharing, in terms of maybe state
5 involvement at the PJM level, so state-federal
6 collaboration, utility-federal-state collaboration, or
7 collaboration between various utilities and their
8 customers or utility to utility.

9 So from your perspective, where are the gaps,
10 and what are some things that this commission can do to
11 help fill those gaps?

12 Yes?

13 MR. JARAMILLO: Well, I think one that we've
14 been discussing quite a bit today is transmission
15 allocation, where it kind of spans between FERC and the
16 state. I think if there was some commonality on how to
17 allocate those supplemental transmission costs rather
18 than socializing the upfront costs, you know, that
19 would certainly be an area.

20 JUDGE BAGOT: I'm not sure who's next, Mr.
21 Vaughan or --

22 Mr. Crenshaw, all right.

23 MR. CRENSHAW: Okay. I'll go quickly.

24 I think -- I'm not sure if this is really
25 within the purview of the State Corporation Commission,

1 but, you know, as we're building out both types of
2 infrastructures, the data center load infrastructure
3 and the generation infrastructure needed, and the
4 transmission infrastructure needed to support all of
5 that, the permitting questions that we have in the
6 state need to be standardized.

7 And, kind of -- so some clarity and, you
8 know, certainty of permitting is necessary for all this
9 investment to happen. And so, you know, that's the
10 kind of thing I think that will need to happen over the
11 next few years, is that we're getting more certainty of
12 permitting.

13 JUDGE BAGOT: Thank you.

14 Mr. Vaughan?

15 MR. VAUGHAN: On a Virginia-specific issue
16 that the Commission could help with, when it comes to
17 the RPS standard and being able to meet our obligations
18 in the least reasonable cost manner, my pre-filed
19 statement of position, I mentioned a couple things that
20 could help.

21 Mainly around, right, there's a dynamic here,
22 between, you know -- Virginia has the advanced renewal
23 buyers portion of the law. But before that, you still
24 have corporate buyers that are out there signing
25 virtual power purchase agreements or however they're

1 settling them.

2 But they're signing up RPS-eligible projects.
3 And remember, these are -- these aren't regulated
4 utilities. They don't have the same burden as we do.
5 They don't have the same regulatory process as we do.
6 They can act a lot faster.

7 So anything the Commission can do through
8 legislative advocacy or approving alternative
9 structures in our cases to make the utilities -- help
10 the utilities even the playing field from a commercial
11 perspective being able to contract for the same
12 projects in a faster manner to get those projects,
13 those savings, the lower-cost projects to all of our
14 customers, not just the large, sophisticated renewable
15 energy buyers.

16 JUDGE BAGOT: Can you -- just for my own
17 education, can you talk a little bit about the
18 difference between what a corporate buyer versus you,
19 as a utility, would have to engage in that, sort of,
20 creates that issue?

21 MR. VAUGHAN: Certainly. So let's say APCo
22 and a corporate buyer both put out an RFP on the same
23 day. Let's say it's a 30-day window. We get the bids
24 in. There's only so many projects out there in the RTO
25 that are available.

1 APCo does look across PJM for projects.
2 We're -- we do look specifically in Virginia as well,
3 but, you know, our portion of the RPS code is a little
4 different than Dominion's.

5 And so we -- us and that corporate buyer both
6 get some number of the same projects from independent
7 third-party developers. And so we both do our analysis
8 in the same time, and we both say, great, I want these
9 three projects.

10 And we go to the developer, and we say, okay.
11 We're ready to sign with you. Here's our regulatory
12 process, where it's going to take us a month to put
13 this filing together, and then it's a six-month --
14 six-month approval process through litigation, and then
15 you've got to wait 30 days for it to be appeal-proof.
16 Right? And so we've got eight months there.

17 If the corporate buyer says they go through
18 their governance, maybe the next week they sign the
19 project. You know, So it's just without the -- they
20 don't have the regulatory span that the utilities do.

21 And we personally think the 90-day prudence
22 option that's in the code is helpful. It cuts that
23 down a lot. It makes -- it makes us a lot more
24 efficient with those developers being able to say, hey,
25 it's a lot shorter time frame than six months.

1 I mean, in some of our states, it's a year.
2 And it's really hard to be a third-party developer and
3 hold a project that long when there's so much demand
4 out there for the same projects, right? Because of
5 siting, because of other issues, there's only so much
6 to go around.

7 And so any way that we can expand that and
8 just make the process faster without compromising
9 prudence. Right? We all -- we all want to do what's
10 right for customers here, and, you know, that's an
11 improvement we think could really help.

12 JUDGE BAGOT: For you, just out of curiosity,
13 to the extent you even know, are you typically
14 competing in that instance with corporate buyers that
15 are outside of Virginia, that are in the larger PJM
16 area or is it --

17 MR. VAUGHAN: Yes, absolutely. It's all
18 through the PJM states. All the corporate buyers, they
19 all have a different flavor of what meets their --

20 JUDGE BAGOT: Uh-huh.

21 MR. VAUGHAN: -- needs. But when we're
22 looking at our COI, if there's a load in Ohio or New
23 Jersey or Pennsylvania, and they're doing the same
24 thing, you know, that's who we're competing against.

25 JUDGE BAGOT: Okay. Thank you.

Transcript of Hearing
Conducted on December 16, 2024

256

1 I'm not sure who was -- who was next.

2 MR. SMITH: I think I can go, so thank you.

3 JUDGE BAGOT: Okay.

4 MR. SMITH: A place that would be very
5 helpful in the permitting -- or not the permitting
6 process -- but in getting properties zoned would be the
7 transmission route. So as we all know, ultimately, the
8 State Corporation Commission chooses the transmission
9 route, but a question that you often get as a developer
10 of large load users, where's the transmission coming
11 from?

12 And there's, you know, ultimately, limited
13 information that Dominion can provide with the ultimate
14 answer coming from the Commission. But from the
15 developer's perspective when going for that zoning,
16 it's becoming not to be a satisfactory answer to say,
17 well, the Commission ultimately chooses the
18 transmission route.

19 So if there were a way we could accelerate
20 route approvals or accelerate route plans such that the
21 transmission route or the most likely route we could
22 present to those boards that have to make those tough
23 votes, that would really go a very long way.

24 JUDGE BAGOT: Can I ask a little more? So
25 when they're asking questions about where the

1 transmission is coming from, is it a concern that the
2 transmission is going to be there when they're -- when
3 the load is there and they're ready, or what is it --
4 what is the customer's concern, I guess, in terms of
5 the actual route?

6 MR. SMITH: The physical location of the
7 transmission towers and how it will ultimately impact
8 the communities that they serve.

9 JUDGE BAGOT: Oh, I see. Okay.

10 MR. SMITH: And then there's also the other
11 one, too, but the primary one is where is this
12 transmission going to go, how is this going to change
13 our view shed.

14 JUDGE BAGOT: So it seems to be more like a
15 risk assessment, in terms of the customer trying to
16 make a decision about how viable their project may be
17 based on permitting and community activism, things like
18 that that may -- that may put their project at risk or
19 delay it?

20 MR. SMITH: Right.

21 JUDGE BAGOT: Okay. Thank you.

22 Mr. George?

23 MR. GEORGE: So I'm going to put my FERC hat
24 back on for a moment, and I know I have -- we have two
25 former FERC colleagues here. Hopefully, you'll

1 appreciate this.

2 I think there is often a pretty big gap in
3 folks at FERC who understand the state regulatory
4 piece, right? And given how intertwined the two are
5 and increasingly intertwined they're going to become, I
6 think there's real opportunity to build up that, sort
7 of, cross-knowledge base, and I think things like the
8 NARUC State Federal Task Force are a good way to go
9 about that.

10 But I -- that -- there's just a severe lack
11 of institutional knowledge, and that's not a knock on
12 the Commission, that's just that's what they regulate,
13 but it's really impacting decisions.

14 And, you know, one example is the -- is
15 regional transmission, right? I think there may be a
16 view, particularly among some at FERC, that regional
17 transmission projects are the best way to plan for all
18 transmission projects going forward. We know that's
19 not the case, right?

20 There are -- there are buckets of projects
21 like supplemental transmission projects that are
22 required to resolve things like reliability needs on a
23 near-term basis that just simply don't work well within
24 that regional framework.

25 And so I think there's, almost back to the

Transcript of Hearing
Conducted on December 16, 2024

259

1 transmission allocation point, I think there's lots of
2 opportunities to collaborate and think through how the
3 system works, and how can we promulgate regulations
4 from both the federal level and the state level that
5 make the most sense for the entities in the state.

6 The other thing I would say is, that also
7 extends to PJM. One area that I found a lot of
8 frustration with PJM is that there's often not a strong
9 level of commercial understanding of, sort of, the
10 impacts we're seeing on the grid.

11 One example, we have continued to struggle to
12 find new clean energy resources across the PJM
13 footprint to bring to the grid. This is the
14 interconnection queue challenge. Right? And if you
15 ask PJM, they've just cleared several hundred gigawatts
16 of capacity through the queue. And so there's just
17 this fundamental mismatch between what we're seeing on
18 the ground from the commercial teams and what the RTO
19 is seeing that I think is reflective of this broader
20 sets of silos that we're all operating in.

21 So I think there's real opportunity for you
22 all to engage both at FERC through things like the
23 joint task force and through OPSI to engage more
24 directly at PJM just to make sure we're all at the same
25 baseline level of education.

1 JUDGE BAGOT: Thank you.

2 Mr. Jaramillo, you mentioned that one area we
3 can be helpful is in the transmission cost allocation.
4 Can you talk a little bit more about that?

5 What sort of factors -- to the extent our
6 existing allocation is not, in your mind, allocating
7 transmission-related costs appropriately -- what
8 factors should we be considering when we're looking at
9 how we should be allocating costs to data center
10 customers versus other customers on the system?

11 MR. JARAMILLO: I think one of the terms that
12 have been thrown out has been last mile of line. So
13 when Dominion has to build that last mile to hook up a
14 switching station to a dedicated substation, but yet
15 that switching station and that last mile of line,
16 those up-front costs are socialized among all the
17 ratepayers.

18 If there could be a way to, you know, fire
19 shop those costs straight to the data center, those
20 up-front costs, and not affect the other ratepayers.

21 Because, you know, last mile of line, the
22 reliability that the residential customers are going to
23 receive is, you know, very nil.

24 JUDGE TOWELL: Related to that question, how
25 would -- how -- folks account for additional growth

1 that's sprung off of that last mile, to the extent that
2 there was additional growth?

3 Don't we run into a first mover problem even
4 within that last mile? Or are there mechanisms that
5 exist to ameliorate that down the road?

6 MR. JARAMILLO: Well, when I say last mile, a
7 lot of times it's not even a mile. It could be -- it
8 could be a half-a-mile. And there's nothing going to
9 be in between.

10 JUDGE BAGOT: Okay.

11 MR. JARAMILLO: You know, sometimes, sure,
12 it's going to be two or three miles. And possibly,
13 yeah, there could be other delivery points coming off,
14 you know, those -- that transmission line. And
15 probably good planning probably allows for it.

16 But, you know, when it's obvious that, you
17 know, this line is just for this switching station and
18 just for this data center customer, there should be a
19 way to, you know, allocate those costs directly to that
20 customer.

21 JUDGE TOWELL: Thank you.

22 JUDGE BAGOT: All right. I don't have any
23 other further questions. So I'm going to do what I did
24 before and tee it up for final thoughts that you all
25 may have.

1 And so I would say feel free to recap the one
2 thing you want us to walk away from from today or
3 answer the question you wish we had asked you but we
4 didn't, whatever you decide.

5 I'm going to start, as I did last time, on my
6 right with Mr. Crenshaw, and I'll move to my left.

7 JUDGE TOWELL: And before we finish, I'd just
8 like to note, you may have been in some technical
9 conferences in some other states that lasted until 11
10 o'clock. That is not the case in Virginia.

11 JUDGE HUDSON: We are very efficient in
12 Virginia.

13 MR. CRENSHAW: Yeah, no, thank you.
14 Appreciate it. Again, just thank you for the time. I
15 think, you know, it's been a very informative
16 conference for all of us, and I've definitely learned a
17 lot.

18 MR. SMITH: I think from an IPP perspective,
19 you know, continuing to work on how we can bring
20 generation into Virginia is going to be the thing
21 that's going to help with this -- be a part of the
22 solution here.

23 Actually, going back to the network upgrades
24 and the cost, I'd say utilities must be empowered to
25 build ahead of the forecasted of demand. This requires

1 clear regulatory frameworks that mitigate the financial
2 risk of upfront investment. This includes tariff
3 provisions, securitization mechanisms, and flexible
4 cost recovery structures that can provide the certainty
5 needed to move at the speed required.

6 And then the last thing I'd like to say is,
7 we often talk about what happens if we -- if we
8 under-forecast. What happens? Or, no, I'm sorry,
9 there's more emphasis put on over-forecasting than
10 emphasis put on under-forecasting.

11 And to that I say, you know, just recognizing
12 the critical importance of this issue, the White House
13 has established a task force on AI data center
14 infrastructure, prioritizing AI data center development
15 as a matter of national security and economic interest.

16 So if we keep that at -- closer to the sensor
17 than it has been, I think that will open us up to some
18 innovations to help us move forward and keep Virginia
19 where it is in terms of being the data center mecca of
20 the world.

21 JUDGE BAGOT: Thank you.

22 MR. CRENSHAW: MR. JARAMILLO: First of all,
23 just thank you for allowing NOVAC to be here and for
24 hosting this type of conference. It's very timely.

25 And thank you for the discussion in

1 transmission allocation. That was probably one of my
2 key issues I wanted to discuss and was able to discuss
3 that, so thank you very much for that.

4 With that, nothing else. Thank you.

5 JUDGE BAGOT: Thanks.

6 MR. CRENSHAW: MR. GEORGE: I just want to
7 echo my appreciation as well. I think, you know, there
8 has been, obviously, robust conversation, but I think
9 actually a fair deal of alignment and in what can be
10 the next paths forward.

11 I think we've heard a lot of good alignment
12 around things like the need for more stringent,
13 upfront, and over-the-term-of-the-contract financial
14 requirements from new, large loads connecting to the
15 grid.

16 I think from our perspective, that is our way
17 of raising our hand and recognizing that status quo is
18 not sustainable. How can we come to the table with
19 solutions that work for us but also work for the
20 partners that are providing this service? And so I
21 think there's real opportunity there.

22 I would also be remiss if I didn't take the
23 moment to put on the record the fact that I am the only
24 one of my hyperscale representatives here today. So
25 thank you for the opportunity to be here, and we look

1 forward to next steps.

2 MR. CRENSHAW: MR. VAUGHAN: I guess the one
3 -- the one thing that was brought up that I didn't get
4 a chance to touch on that I'll brush on with you all is
5 the MBR discussions, market-based rates.

6 You know, potentially it could just be an
7 issue of cost allocation, but I caution the Commission
8 on, you know, it's partial choice in Virginia, but to
9 not advocate your ability to be the reliability
10 backstop, just don't hope that the market builds it.
11 Right? Because the capacity market is not going to
12 build the infrastructure we need here.

13 So while it could be a potential tariff
14 offering, potential cost allocation tool, it's, in our
15 opinion, it probably isn't the long-term utility
16 planning tool to get the resources built to provide
17 safe, reliable service to customers over the long-term.

18 And with that, the one thing I would sum up
19 today is that our takeaway would be that the existing -
20 - at least for Appalachian Power Company -- the
21 existing terms of service do need updated. They need
22 enhanced to take full advantage of the low-growth
23 opportunity we have here in the commonwealth, and
24 Appalachian Power really appreciates the opportunity to
25 come and speak today. Thank you.

1 JUDGE BAGOT: Thank you. Thank you all to
2 our Panel 3 for wrapping up a long day.

3 I just want to say -- before I turn it to my
4 colleagues for any final remarks -- I just want to say
5 a huge, heartfelt thank you to all of the panelists
6 that participated today, for all the panelists that
7 self-nominated.

8 This was sort of a test case for these sorts
9 of technical conferences at the Commission.

10 I'm going to proclaim it wildly successful
11 based on the conversations that we had today. I
12 certainly learned a lot, and I think the dialogue was
13 really engaging and helpful, and I appreciate the back
14 and forth.

15 And I think, Mr. George, you're totally
16 right, that something that is promising is the level of
17 agreement among the parties in terms of the sorts of
18 things we should be thinking about and the direction
19 that we could take this.

20 So I certainly hope that the Commission will
21 play its respective role in developing solutions going
22 forward.

23 But as I mentioned in the beginning, it can't
24 just be one regulator, one legislator, one utility, one
25 customer. And so I think we're all in this together,

1 and I think the showing today really shows that I think
2 there truly is collaboration that's happening in order
3 to solve this problem.

4 So thank you all so much for participating
5 today.

6 One housekeeping matter: as I mentioned at
7 the beginning, we are opening it up to post-technical
8 conference comments to everybody, panelists,
9 non-panelists, those members of the public that were
10 listening, or anybody else that has -- would like to
11 respond to anything that was discussed today or in the
12 pre-conference -- or the pre-filed comments to this
13 conference. So we will be issuing an order which lays
14 out the specifics on how to submit those comments.

15 But just, tentatively, for planning purposes,
16 we're looking at a date of January 17th, which is the
17 Friday before the long weekend, so hopefully you all
18 can enjoy that long weekend instead of working through
19 it. So that's January the 17th for post-technical
20 conference comments.

21 And, again, we will issue an order that
22 provides a little bit more detail. We wanted to get
23 that out there for you all.

24 So with that, I will turn it over to Chairman
25 Jehmal Hudson for any additional comments.

Transcript of Hearing
Conducted on December 16, 2024

268

1 JUDGE HUDSON: Thank you, Judge Bagot.

2 And quickly, I just want to say thank you to
3 all of you for your active participation in today's
4 technical conference.

5 The challenges we've discussed today are not
6 hypothetical. They are immediate, they are real, and
7 they're accelerating. That's why it's very important
8 that the work we do here, and the solutions that we've
9 tried to come up with today, we do it collaboratively.
10 And, basically, that it's very critical to ensure that
11 the challenges that we addressed are proactive and
12 equitable.

13 As Judge Bagot has mentioned, please
14 definitely file your comments, and please include your
15 best ideas, innovative, thoughtful, and practical. We
16 will definitely read them, and they will be essential
17 in shaping the path forward.

18 As I close, I just want to acknowledge two
19 people today. Unfortunately, one person has left.

20 Mark Christie, the current FERC commissioner
21 and the former Virginia State Corporation commissioner,
22 as well as Angela Navarro, the former Virginia State
23 Corporation commissioner.

24 Thank you so much for being here today. We
25 loved that you're here today. Thank you. And that's

1 all for me.

2 JUDGE BAGOT: Commissioner Towell?

3 JUDGE TOWELL: Just briefly, I'll echo my
4 colleagues thanks to everyone who's participated,
5 especially the panelists on panels 1, 2, and 3. Also
6 the members of the audience who have come here to get
7 additional information and to hear the back-and-forth,
8 as well as those folks who may be participating via the
9 webcast.

10 Data centers are -- and large load users are
11 a -- are a very important part of what is being
12 discussed here recently when it comes to the energy
13 profile here in Virginia. We've seen it in the JLARC
14 report. We've seen it in the bills that have been
15 filed in the General Assembly. We see it just through
16 the mechanisms that are -- exist here in the
17 commonwealth and elsewhere in PJM and FERC.

18 So thank you all for helping us just become
19 more educated on the issues that are associated with
20 relatively new, large load consumers and what that
21 means for the footprint as a whole.

22 And I hope that you all enjoyed this as much
23 as we did.

24 JUDGE BAGOT: So with that, I will adjourn
25 for today and say thank you very much and happy

1 holidays.

2 (Off the record at 4:35:39 p.m.)

3 ///

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Transcript of Hearing
Conducted on December 16, 2024


271

1 CERTIFICATE OF COURT REPORTER - NOTARY PUBLIC

2 I, Joshua Tubbs, the officer before whom the
3 foregoing proceedings were taken, do hereby certify that any
4 witness(es) in the foregoing proceedings were fully sworn; that
5 the proceedings were recorded by me and thereafter reduced to
6 typewriting by a qualified transcriptionist; that said digital
7 audio recording of said proceedings are a true and accurate
8 record to the best of my knowledge, skills, and ability; and
9 that I am neither counsel for, related to, nor employed by any
10 of the parties to this case and have no interest, financial or
11 otherwise, in its outcome.

12
13 Notary Registration No.: 7905736

14 My Commission Expires: 4/30/2025

15
16 
17

18 JOSHUA TUBBS,

19 NOTARY PUBLIC FOR THE COMMONWEALTH OF VIRGINIA
20
21
22
23
24
25

CERTIFICATE OF TRANSCRIBER

I, Bonnie Torrez, do hereby certify that this transcript was prepared from the digital audio recording of the foregoing proceeding; that said transcript is a true and accurate record of the proceedings to the best of my knowledge, skills, and ability; and that I am neither counsel for, related to, nor employed by any of the parties to the case and have no interest, financial or otherwise, in its outcome.

Bonnie Torrez

Bonnie Torrez, CET-1213

December 20, 2024

CERTIFICATE OF TRANSCRIBER

I, Deborah S. Anderson, do hereby certify
that the foregoing pages, to the best of my
ability, are a true and correct transcription from
the official electronic sound recording and
annotations of the proceeding take on December 16,
2024 in the above-entitled matter; and that I am
neither counsel for, related to, nor employed by
any of the parties to this case and have no
interest, financial or otherwise, in its outcome.

Deborah Anderson

Deborah S. Anderson, CET-998

December 20, 2024